

DARLINGTON NEW NUCLEAR POWER PLANT PROJECT

**JOINT REVIEW PANEL**

PROJET DE NOUVELLE CENTRALE NUCLÉAIRE DE DARLINGTON

**LA COMMISSION D'EXAMEN CONJOINT**

**HEARING HELD AT**

Hope Fellowship Church  
Assembly Hall  
1685 Bloor Street  
Courtice, ON, L1E 2N1

**Wednesday, April 6, 2011**

**Volume 15**

**JOINT REVIEW PANEL**

Mr. Alan Graham  
Ms. Jocelyne Beaudet  
Mr. Ken Pereira

**Panel Co-Managers**

Ms. Debra Myles  
Ms. Kelly McGee

**Transcription Services By:**

International Reporting Inc.  
41-5450 Canotek Road  
Ottawa, Ontario  
K1J 9G2  
www.irri.net  
1-800-899-0006

(ii)

TABLE OF CONTENTS / TABLE DES MATIÈRES

	<b>PAGE</b>
Opening remarks	1
Undertaking Status	3
Questions for Health Canada by the Panel	5
Questions for the Ministry of Environment of Ontario by the panel	28
Questions by the intervenors	47
Presentation by Mr. Davidson	52
Questions by the panel	60
Presentation by Ms. White	72
Questions by the panel	80
Questions by the public	92
Written submissions and questions by the panel	96
Statement read by Ms. Myles	108
Presentation by Mr. Sweetnam	112
Questions by the panel	122
Presentation by Ms. Wheatly	123
Question by the panel	131
Questions by the intervenors	156
Questions by the public	168
Presentation by Ms. Skelly	175
Questions by the panel	187
Questions by the public	196
Presentation by Mr. Cornwell	197
Questions by the panel	202

1 Courtice, Ontario

2

3 --- Upon commencing at 1:31 p.m./

4 L'audience débute à 13h31

5 --- OPENING REMARKS:

6 MS. MCGEE: Good afternoon. Mon  
7 nom est Kelly McGee. Welcome to the public hearing  
8 of the Joint Review Panel for the Darlington New  
9 Nuclear Power Plant Project.

10 Je suis la co-gestionnaire de la  
11 Commission d'examen conjointe du projet de nouvelle  
12 centrale nucléaire de Darlington.

13 Secretariat staff are available at  
14 the back of the room. Please speak with Julie  
15 Bouchard if you are scheduled to make a  
16 presentation at this session if you are a  
17 registered intervenor and you want the permission  
18 of the chair to ask a question or if you are not  
19 registered to participate, but now wish to make a  
20 brief statement.

21 Any request to address the panel  
22 must be discussed with Panel Secretariat staff  
23 first. Opportunities for either questions to a  
24 presenter or a brief statement at the end of a  
25 session will be provided if time permits.

1                                   We have simultaneous translation;  
2 headsets are available at the back of the room.  
3 English is on channel one. La version française  
4 est au poste 2. A written transcript of these  
5 proceedings will reflect the language of the  
6 speaker.

7                                   Please identify yourself each time  
8 you speak so that the transcripts can be as  
9 accurate as possible. Written transcripts are  
10 stored on the Canadian Environmental Assessment  
11 Agency website for the project. The live webcast  
12 can be accessed through a link on the Canadian  
13 Nuclear Safety Commission website and archived  
14 webcasts and audio files will also be available on  
15 this site.

16                                  As a courtesy to others in the  
17 room, please silence your cell phones and other  
18 electronic devices. Thank you.

19                                  CHAIRPERSON GRAHAM: Thank you  
20 very much, Kelly, and good afternoon, everyone.  
21 Welcome to everyone joining us either in person  
22 this afternoon, through the live audio link or on  
23 the internet. My name is Alan Graham and I'm the  
24 Chair of the Joint Review Panel and with me are the  
25 other two Panel members. On my right is Madam

1 Jocelyne Beaudet. My left, Mr. Ken Pereira.

2 We'll start off this afternoon  
3 session as we generally do. Each day the first  
4 session of the day, by going and looking at the  
5 undertakings that were due or to be provided on  
6 today's date. And I'll start -- I'll go to Mr.  
7 Saumure for the review of the undertakings.

8 --- UNDERTAKING STATUS:

9 MR. SAUMURE: Thank you, Mr.  
10 Chairman. The first undertaking due today is  
11 number 16. It was assigned to EC and CNSC and it  
12 was to provide a comparative analysis of hot and  
13 cold plume releases, which are a representative of  
14 nuclear accidents. CNSC?

15 MR. HOWDEN: Barclay Howden  
16 speaking. The -- the modelling work has been done  
17 by OPG and it's been provided to EC and CNSC. We  
18 haven't completed our review yet, so we'll  
19 endeavour to report back either tomorrow or on  
20 Friday. We'll have to see how the review goes.

21 CHAIRPERSON GRAHAM: Mr. Saumure?

22 MR. SAUMURE: Thank you. The  
23 other undertaking is number 61. It was assigned to  
24 CNSC and it is to provide information from other  
25 government agencies on risk assessment framework.

1 CNSC?

2 DR. THOMPSON: Patsy Thompson for  
3 the record. Actually Health Canada is here and  
4 could speak to this undertaking. They will be  
5 providing the information to the CNSC.

6 MS. MA: Kitty Ma for the record.  
7 Health Canada will be submitting the response to  
8 undertaking number 61 by the end of today.

9 MR. SAUMURE: That's all for the  
10 undertakings, Mr. Chairman, this morning -- this  
11 afternoon.

12 CHAIRPERSON GRAHAM: Okay. So  
13 those are the ones for today. Well, with that, now  
14 we will move right along and to the first item on  
15 the agenda today, which is Health Canada and the  
16 Ministry Environment. Both departments are  
17 asked -- were asked to return today for follow-up  
18 questions by Panel members. And we'll start off  
19 today with Health Canada.

20 I want to welcome Kitty May -- Ma  
21 for coming today who is the environmental  
22 assessment coordinator, Environmental Health  
23 Programs. And I understand you have some other  
24 people that are going to be joining us by telephone  
25 conference and maybe you could identify those and

1 what the roles are before we start, so Panel  
2 members can -- we'll know who's here. Ms. Ma?

3 MS. MA: Thank you, Mr. Chairman.  
4 Can I have whoever that's on the phone identify  
5 themselves, please?

6 MR. JESSIMAN: Barry Jessiman, Air  
7 Health Science Division.

8 MS. Bergman: Lauren Bergman,  
9 Radiation Protection Bureau.

10 MR. BLY: Stephen Bly, Acoustics,  
11 Consumer and Clinical Radiation Protection.

12 MS. McDonald: Suzy McDonald,  
13 Environmental Health Bureau.

14 CHAIRPERSON GRAHAM: If that's it,  
15 then, we will start right into questions from Panel  
16 members. Do you have any opening comments, Ms. Ma?  
17 No? All right then, if that's the case, we will  
18 first go to Mr. Pereira.

19 --- QUESTIONS FOR HEALTH CANADA BY THE PANEL:

20 MEMBER PEREIRA: Thank you, Mr.  
21 Chairman. And my first question concerns tritium  
22 in drinking water. Many intervenors who have come  
23 before us have expressed concerns about the impact  
24 of tritium on health. And many have made reference  
25 to the fact that in Canada, the dose -- the limit

1 for tritium in drinking water is 7,000 Becquerels  
2 per litre.

3 In discussing it with -- on  
4 different occasions, we have come to realize that  
5 guidelines issued by Health Canada and the  
6 guideline -- current guideline is 7,000 Becquerels  
7 per litre.

8 In some other countries, some  
9 other jurisdictions, the limit is lower than in  
10 Canada. Could Health Canada provide a -- some  
11 background information on the rationale for the  
12 7,000 Becquerels per litre limit and whether there  
13 is consideration being given to lower this limit,  
14 given the concern on part of many Canadians that  
15 this limit is out of line with what is being done  
16 in many other countries? Limits are being lowered.

17 Have there been calls in Canada  
18 for lower limits? What is the policy direction  
19 been taken by Health Canada on this issue?

20 MS. MA: Thank you, Mr. Pereira.  
21 I'm going to ask our radiation specialist, Lauren  
22 Bergman, to answer this question. Lauren, you can  
23 answer when you're ready.

24 MS. BERGMAN: Lauren Bergman for  
25 the record. The guideline for tritium in drinking

1 water is set the same as it is for all other  
2 radionuclides and it's set on a dose constraint of  
3 .1 millisieverts per year, so if you were to ingest  
4 tritium at the guideline level for an entire year,  
5 your dose would be .1 millisieverts, which is only  
6 ten percent of the dose limit for members of the  
7 public of 1 millisievert per year, so the guideline  
8 is intrinsically set to be protective.

9                   The guideline is calculated using  
10 a drinking water consumption rate for adult  
11 Canadians of 730 litres per year and the dose  
12 coefficient for intake by ingestion recommended by  
13 the ICRP.

14                   This calculation actually produces  
15 a guideline of 7,600 Becquerels per litre, but this  
16 is rounded down to 700 -- or sorry, 7,000  
17 Becquerels per litre, again, to be protective of  
18 human health.

19                   And this is in line with the  
20 international recommendations of the World Health  
21 Organization.

22                   As far as how this guideline  
23 compares internationally, it actually is a mid to  
24 low range in comparison to many other countries.

25                   For example, the tritium guideline

1 in Finland is 30,000 Becquerels per litre. In  
2 Australia, it's approximately 76,000 Becquerels per  
3 litre. And both Switzerland and the World Health  
4 Organization round up their calculations to 10,000  
5 Becquerels per litre.

6 It is true that the European Union  
7 uses 100 Becquerel per litre as a screening level,  
8 but this is the level at which further  
9 investigations into tritium is recommended.

10 And the United States does use a  
11 value of 740 Becquerels per litre, but this is  
12 calculated based on U.S. statistics and does not  
13 follow the World Health Organization  
14 recommendations.

15 As far as Health Canada's future  
16 plan for the guideline, we are always reviewing new  
17 literature for new scientific evidence, but  
18 currently we do not believe that there is any  
19 evidence to support calculating the tritium  
20 guideline in a way that differs from the other  
21 radionuclides.

22 MEMBER PEREIRA: Thank you for  
23 that. Ms. Thompson, just to note that this Panel  
24 has received many interventions on this issue and  
25 there seems to be considerable concern on the fact

1 that we have guidelines that are higher than some  
2 other jurisdictions.

3 I'll turn to CNSC, do you have any  
4 comments on the issue with you having been here in  
5 the hearings and have heard the concerns from  
6 members of the public. Any comments on the way we  
7 stand in Canada?

8 DR. THOMPSON: Patsy Thompson for  
9 the record. The CNSC did review guidelines that  
10 are in place in different jurisdictions. And the  
11 summary provided by Health Canada is a reflection  
12 of what's in place in many places.

13 The jurisdictions where the  
14 guidelines are lower, for example, 15 in California  
15 and Colorado and about 100 in the EU are actually  
16 not legal, enforceable drinking water standards,  
17 but they're guidelines that jurisdictions are  
18 called to aim for in the case of 15. And in the  
19 case of 100, it's an indicator that there might be  
20 a loss of control from a facility because it's easy  
21 to measure, so it's an indication that further  
22 investigations need to be done.

23 The CNSC has taken the position  
24 that nuclear facilities in the way that we have  
25 been regulating them have very low emissions. And



1 below 20 as it is.

2 MEMBER PEREIRA: Thank you very  
3 much for that additional information on that issue.  
4 Going on to another topic, I understand that Health  
5 Canada maintains the National Dose Register. I  
6 don't know if that's the correct term for it. Is  
7 there any information that the Health Canada  
8 publishes from time to time on radiation doses by  
9 workers in Canada as a -- as an independent  
10 indicator of control of health -- independent of  
11 the regulator?

12 MS. MA: Kitty Ma for the record.  
13 I'm also going to ask Lauren Bergman, our radiation  
14 specialist to answer this question. Lauren, when  
15 you're ready you can answer.

16 MS. BERGMAN: Lauren Bergman, for  
17 the record. Yes, Health Canada does operate the  
18 National Dose Registry, which records doses of  
19 nuclear energy workers. And this information is  
20 reported, but I don't have any information on how  
21 regular this reporting occurs, and I could find  
22 that for you, if you would like.

23 MEMBER PEREIRA: Yes. Could you  
24 please, because it might be something that we might  
25 refer to in our deliberations on the proposal

1 before us.

2 We go on to -- do you want to --

3 CHAIRPERSON GRAHAM: Before you  
4 do, Mr. Pereira, we do undertakings, so, Ms. Ma, if  
5 you could make a note to provide an undertaking,  
6 that'll be Undertaking 71 from Health Canada, to  
7 provide the symmetry records that Mr. -- or  
8 symmetry information that Mr. Pereira's asked for.  
9 So that'll be 71, and a time.

10 MS. MA: We'll try for Friday.

11 CHAIRPERSON GRAHAM: Friday will  
12 be fine. Thank you very much.

13 MS. MA: Thank you.

14 CHAIRPERSON GRAHAM: Mr. Pereira?

15 MEMBER PEREIRA: The final  
16 question overlaps to a certain degree with the  
17 undertaking that we already have on the books, it  
18 concerns risks being incurred by workers in Canada,  
19 health risk, and how these rank relative to each  
20 other. So we're looking to have some sort of a  
21 perspective on risks -- health risks with people in  
22 the nuclear industry versus other industries in  
23 Canada. Would this be something that Health Canada  
24 would have across the spectrum of all kinds of work  
25 in Canada, and health risks that might be

1 experienced and tolerated, considered to be  
2 tolerable for Canadians as a federal sort of  
3 guideline on what are acceptable risks.

4 MS. MA: Kitty Ma, for the record.  
5 I'm not quite sure if we do have records like that.  
6 Health Canada does risk assessment mostly on  
7 chemical basis, not industry base, but I'll also  
8 confirm this answer with our radiation specialist.  
9 So, Lauren, if you can confirm, please?

10 MS. BERGMAN: Lauren Bergman. We  
11 could add that into the undertaking, perhaps, a  
12 discussion of risks associated with the doses  
13 supported in the National Dose Registry, but we  
14 won't have any information on other industries.

15 MEMBER PEREIRA: For  
16 clarification, then, so you -- all you have is  
17 radiation. Would you have comparative risks on  
18 chemicals, chemical industries, petro-chemical  
19 industry, any other industry in Canada that is  
20 regulated and where there are guidelines or targets  
21 for what are acceptable levels of exposure, other  
22 toxins or -- or chemicals that are considered to be  
23 hazardous.

24 MS. MA: Kitty Ma for the record.  
25 I don't believe we do have such studies. If you

1 could maybe refer to the response that we'll be  
2 providing for Undertaking No. 61, you might have a  
3 better understanding of what we will be able to  
4 provide in terms of risks.

5 MEMBER PEREIRA: Okay. Thank you  
6 very much.

7 MS. MA: Thank you.

8 MEMBER PEREIRA: Thank you, Mr.  
9 Chairman.

10 CHAIRPERSON GRAHAM: Ms. Ma, it's  
11 71, Undertaking 71 not 61.

12 MS. MA: Sorry, I was referring to  
13 Undertaking --

14 CHAIRPERSON GRAHAM: Oh, there is  
15 a 61, okay.

16 MS. MA: There's a 61.

17 CHAIRPERSON GRAHAM: That was  
18 another one, I'm sorry.

19 MS. MA: That's okay. Thank you.

20 CHAIRPERSON GRAHAM: Okay. You're  
21 right, the Chair is wrong. Okay Madam Beaudet,  
22 next -- you have some questions for Health Canada?

23 MEMBER BEAUDET: Thank you, Mr.  
24 Chairman. I'd like to follow-up a bit on health.  
25 We did get an undertaking from CNSC, which is



1 Thank you very much.

2 CHAIRPERSON GRAHAM: You might as  
3 well have come to -- to the hearings today, Ms.  
4 Bergman, go ahead.

5 MS. MA: Lauren, whenever you're  
6 ready. Thank you.

7 MS. BERGMAN: Lauren Bergman, for  
8 the record. Health Canada and the Radiation  
9 Protection Bureau, we do have several research  
10 scientists that do various research projects on  
11 biological health effects of exposure to radiation,  
12 but we do not have any plans at this point to  
13 undertake a large cohort-type study.

14 MEMBER BEAUDET: Can I have  
15 comments from CNSC, do you believe this is the next  
16 step for us?

17 DR. THOMPSON: Patsy Thompson, for  
18 the record. What I would say is that the CNSC, in  
19 collaboration with Health Canada and independent  
20 scientists have conducted cohort studies and will  
21 be -- we will be reporting on the -- the latest  
22 one, I believe tomorrow, in one of the  
23 undertakings. So it's something that the CNSC does  
24 on a regular basis, but for workers, because to do  
25 cohort studies we need information on exposures,

1 and information on individual exposures does not  
2 exist for members of the public, for example. So  
3 it's one of the limitations of being able to do a  
4 cohort study, is being able to have information on  
5 exposures.

6                               We have been listening to -- to  
7 interventions for the last, almost, three weeks,  
8 and we will be looking at what type of study would  
9 be feasible, but I don't believe that a cohort  
10 study is feasible, essentially because most members  
11 of the public around a nuclear facility will have  
12 no exposures from the nuclear facility beyond  
13 natural -- natural exposures essentially. The  
14 exposures to the -- what we call critical groups or  
15 referenced members -- members of the public are  
16 somewhat artificial in that we -- we make a very  
17 conservative lifestyle for individuals so that we  
18 overestimate their doses, such that members of the  
19 public have even lower doses. And the -- the  
20 critical groups right now, the highest exposed one  
21 for Darlington new build is five microsieverts for  
22 an infant living one kilometre away with a very  
23 conservative lifestyle. So most people would not  
24 be exposed in a way that is measurable, from  
25 emissions from Darlington or other nuclear

1 facilities.

2                               So in the absence of measureable  
3 dose information from the nuclear facility, what we  
4 would be doing is essentially assessing the risk  
5 from naturally occurring radioactive substances, so  
6 the natural background of radiation and any medical  
7 exposures that people may have. So I'm not sure  
8 that design of -- a study -- a cohort study is  
9 feasible in those circumstances.

10                              MEMBER BEAUDET: What I had in  
11 mind here is -- because a lot of interventions, as  
12 you know, have brought up the health risk for  
13 children and for malformation of the foetus and  
14 research is being done in Europe. And I was  
15 wondering -- I mean, as we know the KIKK study had  
16 a follow-up which said that they could not come to  
17 the conclusion that there was any effect on the  
18 children.

19                              But because there were some flaws  
20 in the study, the commission that reviewed it could  
21 say that. But it doesn't mean that it doesn't  
22 exist. And I was just trying to find a way where  
23 we could reassure Canadians -- because a lot of it  
24 is in the perception -- but where we could progress  
25 on whether it's a court study, it can be something

1 else, but trying to find a way where we could have  
2 some information that would reassure the public.

3 DR. THOMPSON: Patsy Thompson, for  
4 the record.

5 In Canada, the study that provides  
6 the most information for members of the public  
7 living around nuclear facilities is the Durham  
8 study that was done and published, I believe, in  
9 2007 where it's the largest population around the  
10 two major nuclear power plants in Ontario. That  
11 study did not show an increase in leukemia in  
12 children.

13 In terms of the work that was done  
14 in Germany around what's called the KIKK study,  
15 because of the findings of the KIKK study, the  
16 French and the U.K., France and U.K. did similar  
17 studies and found no link between leukemia and  
18 radiation where living close to a nuclear facility  
19 in either France or the U.K.

20 We know that the U.S. has asked  
21 the -- I believe it's the U.S. Academy of Sciences  
22 to do a similar studying the U.S. for all new -- I  
23 think there's 104 nuclear facilities in the U.S.  
24 So we know that study has been commissioned.

25 And I think what we would need to

1 do is sort of look at what would be feasible in  
2 Canada, given the small number of facilities we  
3 have and the small populations around some of the  
4 nuclear facilities.

5                               But it's certainly something,  
6 after everything we've heard over the last three  
7 weeks that we need to consider and see how best to  
8 address people's concerns and what type of study  
9 would be able to do that in a fairly robust manner.

10                              MEMBER BEAUDET: Would we have a  
11 recommendation on that or that will take many  
12 weeks?

13                              DR. THOMPSON: Patsy Thompson, for  
14 the record.

15                              If you allow me, we could -- I  
16 will consult with my colleagues and perhaps we  
17 could come back early in the day on Friday with a  
18 recommendation or a proposal.

19                              MEMBER BEAUDET: Yes, please.

20                              CHAIRPERSON GRAHAM: So we will  
21 give that an undertaking, just as an information  
22 item coming back. You may not have -- but you will  
23 be advising -- so it will be number 72 for Friday,  
24 to CNSC?

25                              DR. THOMPSON: Patsy Thompson.

1 So undertaking number 72?

2 CHAIRPERSON GRAHAM: Yes.

3 MS. THOMPSON: And we will try to  
4 come back with either ---

5 CHAIRPERSON GRAHAM: A  
6 recommendation or ---

7 MS. THOMPSON: Some kind of  
8 proposal or recommendation to develop a proposal.

9 CHAIRPERSON GRAHAM: Thank you.  
10 Madame Beaudet?

11 MEMBER BEAUDET: Thank you.

12 I'd like to change the subject  
13 now. I'll go to noise, noise aspect.

14 In Health Canada PMD which is, for  
15 the record, PMD 1.8, on page 11, Health Canada  
16 advises that the methodology and the frequency of  
17 noise monitoring be outlined and details be  
18 provided on actions to be taken should noise  
19 levels, during construction, exceed regulatory  
20 limits.

21 And I'd like to understand a bit  
22 more on this. You want the methodology and the  
23 frequency to be submitted to CNSC or you want the  
24 public to be advised on how it's done, in case --  
25 well, I presume there would be a complaint phone

1 line for this project or whatever OPG uses. But  
2 I'd like to have more clarification on this  
3 recommendation?

4 MS. MA: Kitty Ma, for the record.

5 In terms of submission, I believe  
6 if that information was to come forward, it would  
7 probably be submitted to the panel or CNSC. And,  
8 if requested, we would do a further review of that  
9 information.

10 And then, with the methodology,  
11 I'm going to ask my noise specialist, Stephen Bly,  
12 to answer that.

13 Stephen, when you're ready?

14 Thank you.

15 MR. BLY: Yes, I'm here; Stephen  
16 Bly, for the record.

17 Did you say you wanted to -- could  
18 you repeat what you wanted me to answer, Kitty,  
19 please?

20 MEMBER BEAUDET: On page 11 of  
21 your written ---

22 MR. BLY: No, no, I'm sorry. I  
23 understood the question from the panel member. I  
24 did not understand what Kitty -- I thought Kitty  
25 fully answered your question, and I did not

1 understand what aspects I am supposed to answer.

2 MEMBER BEAUDET: Well, there are  
3 two things: there's information requirements that  
4 you seem to ask for, and I was wondering this  
5 information would be for when we go to a further  
6 phase of licensing of the project -- and correct me  
7 if I'm wrong -- because I can't imagine that the  
8 public would be interested in the methodology, how  
9 it's calculated and -- for the noise levels for  
10 them.

11 If you give them the details,  
12 whether it's 55 dBA or 100 dBA, it's just -- it's a  
13 nuisance or an irritant or it's not acceptable.

14 So I was just trying to understand  
15 exactly. It's more in terms of follow-up, I  
16 presume, and monitoring, and in what terms do you  
17 want these details?

18 MR. BLY: Well, the methodology  
19 and the frequency of the noise monitoring plan  
20 needs to be tailored to the specifics of the site  
21 preparation and construction schedule and  
22 activities. And we could provide advice on the  
23 suitability of the noise monitoring plan once  
24 details become available.

25 The importance would be to ensure

1 that whether there is a need for incorporating  
2 additional mitigation measures, would those be  
3 warranted.

4 And, of course, to some extent  
5 that also depends on the complaint history as well.

6 MEMBER BEAUDET: I believe OPG has  
7 detail for that phase of licensing, even the  
8 equipment that is going to be used, and -- so you  
9 feel there is not enough information with respect  
10 to the details provided for us at the environmental  
11 impact assessment phase?

12 MR. BLY: The Proponent has  
13 advised that at this time -- and perhaps this  
14 should be referred to the Proponent, to OPG -- but  
15 my reading of their comments was that they advised  
16 that when a vendor was selected, detailed  
17 construction plans would be developed which would  
18 identify the type and frequency of construction  
19 activities, in particular, the frequency and the  
20 duration.

21 It was discussed in terms of  
22 enabling estimates of the duration of specific  
23 noise-generating activities during site preparation  
24 and construction. You may wish to refer to OPG on  
25 this, but --

1 CHAIRPERSON GRAHAM: We are going  
2 to ask OPG.

3 MR. BLY: -- it's my reading of  
4 their comments.

5 CHAIRPERSON GRAHAM: We're going  
6 to ask OPG to comment.

7 MEMBER BEAUDET: Yes, please.

8 MR. PETERS: John Peters for the  
9 record. I think Madame Beaudet has captured the --  
10 the essence of what we have said. We have provided  
11 the best information we can to date. And in our IR  
12 54 detailed summary of mitigation by phase of the  
13 project, on page A-5 of that document, we provide  
14 the most detailed mitigation measures that we could  
15 at this point in time provide.

16 We have accepted that we would be  
17 revising this in detailed discussions with the  
18 municipality because they are routinely dealing  
19 with this kind of site preparation activity in the  
20 community on a regular basis associated with  
21 subdivision and light industrial development, so  
22 that's the way we've approached this. And we  
23 believe through the IR responses, we indicated how  
24 that would ensure minimum effects through each  
25 phase of the project.

1                   MEMBER BEAUDET: And these would  
2 be worst-case scenario?

3                   MR. PETERS: Absolutely. OPG has  
4 assumed the worst-case scenario in every case and  
5 -- and we believe it will be less than -- than we  
6 have created as a bounding framework.

7                   MEMBER BEAUDET: Thank you. I'd  
8 like to change the subject now.

9                   My last point is -- we were trying  
10 yesterday with Environment Canada to get an idea  
11 what would be the standards across Canada for  
12 acidic acid. I know some provinces have some  
13 limits in terms of micrograms per cubic metre  
14 whether it's for 24 hours or for 15 minutes or  
15 whatever. And acidic acid is not dangerous unless  
16 there's a massive amount that comes and then it can  
17 cause permanent damage to mouth and throat and  
18 lungs. And in the chemical industry field, it can  
19 be quite a concern. And so I was wondering if  
20 Health Canada has established for Canada a limit  
21 regarding this element?

22                   MS. MA: Kitty Ma for the record.  
23 To our knowledge, there is no federal regulation  
24 with respect to acidic acid; however, if you want  
25 to know more about Ontario, I might suggest that



1 MS. MA: Thank you.

2 CHAIRPERSON GRAHAM: Very good.

3 We are going to move to -- we are going to move to  
4 Environment Ontario -- Ontario Department of the  
5 Environment and then we'll go to questions on that  
6 as we go forward. There may be something that  
7 might come up with you. If you'd just stay around,  
8 if you don't mind, until we finish this segment?

9 The Ministry of the -- first of  
10 all, thank you very much for having your staff on  
11 line and being here today to supply further  
12 questions to the panel members, much appreciated.

13 We now will go to Environment  
14 Ontario -- the Ministry of Environment for Ontario  
15 and they have a series of representatives that are  
16 going to be joining us today via telephone  
17 conference. And that group is going to be led by  
18 Mr. Ian Parrot, so staff could see if they could  
19 get -- you'll be disconnecting Health Canada, I  
20 believe, from Ottawa and getting the Ministry of  
21 Environment for Ontario on the line.

22 Mr. Parrot, are you there yet?

23 ---

24 --- QUESTIONS FOR THE MINISTRY OF ENVIRONMENT OF  
25 ONTARIO BY THE PANEL:

1 MR. PARROT: Speaking, Ian Parrot.

2 CHAIRPERSON GRAHAM: That's great.

3 Would you -- first of all, welcome to the Joint  
4 Review Panel being held here and we appreciate your  
5 coming on line to answer some questions. If you  
6 would identify your team and then I'll go to panel  
7 members to ask what questions they might have. We  
8 have just finished -- and maybe you've been  
9 watching it via the internet or via the web with  
10 regard to -- we've just had Ms. Ma and Health  
11 Canada before us and now there are some questions  
12 that we'd like to pose to you. So would you like  
13 to identify your participants and then we'll start?

14 MR. PARROT: Great. Thank you  
15 very much. It's Ian Parrot for the record and I  
16 appeared before you on March 23. And my title with  
17 the ministry is manager of the certificate of  
18 approval review section of the ministry's  
19 environmental assessment and approvals branch. I  
20 have responsibility for the air, wastewater and  
21 waste approvals programs with the ministry.

22 I have a number of people here, so  
23 I'll simply go around the table and ask them to  
24 identify themselves for you.

25 MR. BAKER: I'm Kathryn Baker.

1 I'm the water unit supervisor. I'm a  
2 hydrogeologist and I oversee the permit to take  
3 water program and any questions about the water  
4 would be handled by my group.

5 MR. BELAYNEH: I am Ted Belayneh  
6 for the record. I'm a hydrologist -- a water  
7 specialist by profession. I -- I work in the  
8 technical support section of the Ministry of  
9 Environment.

10 MR. PANKO: Dan Panko; air,  
11 pesticides and environmental planning supervisor.

12 MR. SZAKOLCAI: Akos Szakolcai,  
13 I'm with the ministry's standards development  
14 branch. I coordinate the air standards.

15 MR. PARROT: And I believe -- it's  
16 Ian Parrot for the record. I believe we have Dave  
17 Fumerton on the line as well.

18 MR. FUMERTON: Yes, for the  
19 record, it's Dave Fumerton. I also appeared with  
20 Ian on -- on March 23, and I'm the District manager  
21 of the York-Durham district office and, of course,  
22 Darlington is located within my district and --

23 MS. THOMAS: I'm Sandra Thomas,  
24 Ministry of the Environment, Durham district  
25 office.

1                   CHAIRPERSON GRAHAM: Okay. Well,  
2 thank you very much. The last person that  
3 identified themselves, I don't -- I didn't get the  
4 name.

5                   MS. THOMAS: Sandra Thomas.

6                   CHAIRPERSON GRAHAM: Okay, Ms.  
7 Thomas, thank you very much.

8                   Okay. We'll go to questions  
9 starting off with Madame Beaudet.

10                  MEMBER BEAUDET: Thank you, Mr.  
11 Chairman.

12                  I'd like to look first at the soil  
13 quality for lake filling in Ontario and also for  
14 deposits of soil that is going to be excavated for  
15 the project on land of OPG and possible effects to  
16 groundwater. We reviewed OPG's documents and I  
17 will first ask them to confirm that I'm correct.  
18 There's only -- we found that there's only  
19 exceedance of beryllium?

20                  MR. PETERS: John Peters for the  
21 record. That is correct.

22                  MEMBER BEAUDET: Now, for deposit  
23 of soil on the eastern part, let's say, of OPG's  
24 land or side for the project, would the Ministry of  
25 Environment have any concern regarding

1 contamination of groundwater if there's exceedance  
2 of beryllium?

3 MR. PARROT: It's Ian Parrot for  
4 the record. I just want to understand the -- the  
5 question correctly. So this is the movement of  
6 soil within the property that's been excavated for  
7 construction purposes?

8 MEMBER BEAUDET: Yes, that's  
9 correct, and it's going to -- part of it is going  
10 to be deposited on OPG's northeastern part of the  
11 site.

12 MEMBER PEREIRA: Okay. And is the  
13 -- so the nature of the contamination, is it from  
14 -- is it naturally-occurring contamination or is it  
15 -- is it deposited from an industrial activity?

16 MEMBER BEAUDET: Can OPG answer  
17 that, please?

18 MS. SWAMI: Laurie Swami for the  
19 record. It's naturally occurring.

20 MR. PARROT: It's naturally  
21 occurring? Okay. So there would be no approvals  
22 requirements for OPG to move the soil from one part  
23 of the site to another. I don't -- Dave Fumerton  
24 may be able to address the question of how our --  
25 our ground field regulations may -- may affect the

1 sites in that circumstance.

2 Dave, are you able to add to that?

3 MR. FUMERTON: This is Dave  
4 Fumerton, for the record.

5 There would actually be no ground  
6 field requirement at this point or movement of the  
7 soils of this nature.

8 And as Ian has indicated, there  
9 would be no approvals required from the Ministry of  
10 the Environment.

11 MEMBER BEAUDET: I didn't  
12 understand your last sentence.

13 MR. FUMERTON: Dave Fumerton  
14 again.

15 My last sentence being that there  
16 is no approvals required from the Ministry of the  
17 Environment for this activity.

18 MEMBER BEAUDET: Is it because  
19 it's on their own property?

20 What about if the soil is taken  
21 elsewhere? Because these percentage that will be  
22 taken to wherever -- the site is an industrial  
23 site, and -- and if you take soil that has  
24 exceedances of beryllium to be used to land -- to  
25 landfills or to be used in residential developments

1 as soil, what would be the requirements?

2 MR. FUMERTON: This is Dave  
3 Fumerton, for the record.

4 If the material is designated as a  
5 waste because of the contamination of the soil,  
6 then it would go to an appropriate waste disposal  
7 site.

8 If the soil or the material is not  
9 identified as a waste, then there are various  
10 agencies across the province who approve fill  
11 sites, and the fill -- those approvals are  
12 generally issued by conservation authority,  
13 municipalities, or the Ministry of Natural  
14 Resources when it comes to rehabilitating gravel  
15 pit.

16 So those agencies would dictate a  
17 criteria that they would find acceptable based on  
18 the use of the land.

19 And, consequently, if there's  
20 elevated levels of whatever materials, including  
21 beryllium, if they are acceptable at those clean  
22 fill sites, so be it.

23 During the March 23<sup>rd</sup> presentation,  
24 I believe, Madam, you had a question related to  
25 whether or not those materials would be taken to a

1 landfill, and you -- there's interim daily cover.

2                                   And I might add that that's an  
3 excellent suggestion.

4                                   That would be something that we  
5 would -- we could put in front of our environmental  
6 assessment and approvals branch to deem it -- to  
7 determine if it would be acceptable as an interim  
8 daily cover.

9                                   And, once again, if the -- if the  
10 contaminants in the material are so high that they  
11 cannot be taken to a solid non-hazardous waste  
12 disposal site, then the disposal method would be  
13 through a hazardous waste disposal site.

14                                   MEMBER BEAUDET: I'd like to ask  
15 OPG to bring a little bit more information on the  
16 methodology that you would use to evaluate the  
17 exceedance of beryllium and come to the conclusion  
18 that it's naturally occurring, please.

19                                   MR. PETERS: Madame Beaudet, I --  
20 John Peters, for the record.

21                                   I can provide a general overview  
22 here.

23                                   If you want me to get into the  
24 details, then I would have to take some time and  
25 come back with the detail. It is provided in one

1 of our technical support documents. I believe it's  
2 the geology and hydrogeology document that  
3 summarises all the soil results.

4 But I have provided on the record  
5 the fact that we have filed reports over the years  
6 related to general site sampling associated with  
7 the original development of the property. And that  
8 work was completed a number of years ago.

9 The areas that we have studied  
10 more carefully in the east side of the property  
11 were sampled associated with each of the ground  
12 water well sites that we installed. And there are  
13 some 70 well locations that we put in on the whole  
14 property.

15 We examined the native soil  
16 material uncovered in each of those areas as we did  
17 the drilling, and the evidence of beryllium  
18 exceedances is one that we have found in other  
19 samples previously. I mean, we're not surprised  
20 when we found it again in other portions of the  
21 site, so it does appear to be more than in an  
22 isolated area associated, for example, with the  
23 original cement plant work that was done in the  
24 original development of the site.

25 It was found in a number of areas

1 that we would consider to have been farmland and  
2 native soil materials that had not been disturbed  
3 previously.

4 So that's why we have summarized  
5 our results as being a native condition.

6 MEMBER BEAUDET: No, that's  
7 sufficient information because I know the TSD -- I  
8 have looked at it, so I don't need any more  
9 information than that. Thank you.

10 I'd like to move on about the  
11 requirements of Ministry of Environment with fill  
12 quality of the soil for the lake infill. I believe  
13 you have a two tier type of permit or assessment,  
14 and this first list that is compulsory -- and  
15 beryllium appears in the second list that you would  
16 judge whether to -- to ask the proponent certain  
17 conditions with the elements listed, and it doesn't  
18 have to include everything on the list, but  
19 beryllium is one of them.

20 And I was just wondering now what  
21 would be the requirements for lake infill, and does  
22 it have to do -- again, if it's naturally occurring  
23 or industrially produced or -- can you give us,  
24 please, more information on that, Ministry of  
25 Environment?

1                   MR. PARROT: I had asked the  
2 question about whether it's naturally occurring or  
3 has been deposited there for the purpose of  
4 clarifying for me whether or not the material could  
5 be considered waste under our regulations.

6                   Naturally occurring material with  
7 beryllium or anything else that's naturally  
8 occurring would not be considered a waste.

9                   If it was considered a waste, then  
10 Dave Fumerton had indicated the material would be  
11 subject to approval (inaudible, technical  
12 difficulties).

13                   We would be concerned about it  
14 definitely.

15                   MEMBER BEAUDET: Excuse me, I'll  
16 stop you because we have problems with hearing you  
17 correctly here. One second.

18                   CHAIRPERSON GRAHAM: Could you --  
19 yeah -- ask you just to speak louder, and we'll see  
20 if that works, but we -- you were breaking up very  
21 badly, so if you would start again, we would  
22 appreciate it.

23                   MR. PARROT: Okay.

24                   So I started by saying the -- I  
25 had -- I had asked the question about whether the

1 material or the contamination was there as a result  
2 of deposition or placement as opposed to it being  
3 naturally occurring because I wanted to clarify for  
4 my own purposes whether or not it would be  
5 considered a waste under our regulatory regime.

6                   If it is naturally occurring, then  
7 the -- then it would not be considered a waste, and  
8 we would deal with it as Mr. Fumerton has  
9 described.

10                   If it is a waste, then that does  
11 get dealt with under our regulatory regime and  
12 would have to be sent to offsite for disposal  
13 purposes. It would have to be classified as a  
14 hazardous waste or a non-hazardous waste.

15                   So we do -- would have a different  
16 perspective if the material was placed there as a  
17 waste. And if that material were to be placed  
18 elsewhere and particularity in -- used to infill,  
19 then we would have a concern about the use of waste  
20 to do that, so we would require waste approvals to  
21 do that.

22                   So that's, I think, part of the  
23 question. I don't know if Mr. Fumerton can talk  
24 about the lake vessel guidelines.

25                   Dave, are you able to add more to

1 that?

2 MR. FUMERTON: Dave Fumerton, for  
3 the record.

4 Actually when it comes to lake  
5 infilling, I -- my district office is really not  
6 involved with that. So I can -- I think, Ian, the  
7 answer may be if somebody at your table cannot --  
8 cannot respond to it, then we can certainly get a  
9 response by Friday, as I understand Health Canada  
10 has done some of that.

11 MEMBER BEAUDET: Yes, please.

12 MR. PARROT: Okay. So we can --  
13 we can undertake to provide more information on  
14 those guidelines and how they're used.

15 CHAIRPERSON GRAHAM: Mr. Parrot,  
16 that will be given -- that will be undertaking  
17 number 73.

18 MR. PARROT: Okay.

19 CHAIRPERSON GRAHAM: And you will  
20 provide that by Friday?

21 MR. PARROT: I'm just looking  
22 around our table to see if that's ---

23 MR. PANKO: Dan Panko, for the  
24 record.

25 I think we can aim for Friday, but

1 ---

2 CHAIRPERSON GRAHAM: I'm sorry, I  
3 need you to speak very close to the microphone. If  
4 you don't, it breaks up, and it just comes in in  
5 bits and pieces. So would you give us that  
6 undertaking again?

7 MR. PANKO: Sure, sorry.

8 Dan Panko, for the record.

9 I think realistically if we could  
10 if we could get back to you in a weeks' time with  
11 that undertaking, that would be the best.

12 CHAIRPERSON GRAHAM: Okay, and  
13 we'll provide you with the details of how that  
14 undertaking will get to the panel through our  
15 secretariat and co-managers.

16 MR. PANKO: Right. And if we can  
17 have it to you earlier, we will.

18 CHAIRPERSON GRAHAM: Thank you  
19 very much. Madame Beaudet.

20 MEMBER BEAUDET: Could you also  
21 provide your definition of "naturally occurring"?

22 MR. PANKO: It's Dan Panko for the  
23 record. In the undertaking in our response, or  
24 right now?

25 MEMBER BEAUDET: Well, if you can

1 right now, it's -- it would be fine, or you can do  
2 it in your undertaking.

3 MR. PANKO: I think we'll hold off  
4 until the undertaking.

5 MEMBER BEAUDET: Thank you.

6 MR. PANKO: To make sure that we  
7 get you the correct definition.

8 MEMBER BEAUDET: Thank you.

9 CHAIRPERSON GRAHAM: We'd like to  
10 have that in -- yes, detailed would probably more  
11 prudent. Madame Beaudet.

12 MEMBER BEAUDET: Yes, please. My  
13 other question -- I'd like to change subjects --  
14 it's with -- I seem to making a big fuss about the  
15 acetic acid, but I know it's -- can be important.

16 And I was wondering if we can have  
17 on the screen from the atmospheric environment  
18 assessment of environmental effects, TSD of OPG,  
19 the table --

20 CHAIRPERSON GRAHAM: It's on there  
21 now, Madame Beaudet.

22 MEMBER BEAUDET: Okay. For the  
23 record, table 6.2-26. It's on page 625. The  
24 Ontario -- I believe, Ministry of Environment, you  
25 have a standard which is 2,500 microgram for -- per

1 cubic metre for 24 hours. This is an ambient air  
2 quality criteria.

3 We have here -- you don't have  
4 anything per, let's say, 15 minutes or -- like  
5 Province of Quebec has which would -- sorry -- give  
6 us a better indication of what happens through the  
7 day? Because here, if it's 24 hours, there can --  
8 the concentration can be higher during the day  
9 because there's no activity during the night. Am I  
10 correct?

11 CHAIRPERSON GRAHAM: Mr. Parrot?

12 MR. PARROT: Do I -- and I just --  
13 sorry, if it's a 24-hour average, then the result  
14 would be averaged over a 24-hour period, and there  
15 could be peaks during the day or night during that  
16 24-hour period higher than that number.

17 MEMBER BEAUDET: I'd like to ask  
18 OPG to explain to me this figure, and also the --  
19 the other ones concerning ammonia and folic acid.

20 You have in your table -- you say  
21 in the notes that -- note number 2, let's take this  
22 one on the screen there, that values noted in bold  
23 are considered potentially measureable effects.

24 The assessment criteria is ten  
25 percent of the one -- of the 24-hour background



1 point in time. We do not indicate that this is a  
2 significant change, but we do note that it is an  
3 increase of greater than ten percent over the  
4 background.

5 MEMBER BEAUDET: So when it is --  
6 because other figures also have -- have increments  
7 in bold. So when -- what you say here, that if you  
8 put them in bold when they're potentially  
9 measurable, like, the quantities are so low that  
10 most of the time they will not be measureable, or  
11 is it because you feel that, you know, you are  
12 concerned that there is presence of an impact?

13 MR. PETERS: John Peters. Can I  
14 just have one second? We're carefully assessing  
15 this, and we'll be able to definitively answer in a  
16 moment.

17 MEMBER BEAUDET. Yes, please. And  
18 I may solve my throat problem.

19 (SHORT PAUSE/COURTE PAUSE)

20 MR. PETERS: John Peters for the  
21 record. Yeah, we simply were trying to indicate  
22 that this is actually a measureable change, not  
23 that it's a significant measureable change or that  
24 it's one that we would worry about. If you'd like  
25 more details, our atmospheric specialist has joined

1 us at the table.

2 MEMBER BEAUDET: Please.

3 MS. KIRKALDY: Jennifer Kirkaldy  
4 for the record. If you just give me one moment,  
5 and I will locate the right page. Thank you. So  
6 -- yes, so the bolding just indicated that we had a  
7 ten percent increase in the predicted  
8 concentrations, and that was part of the process  
9 which we developed to identify when we would have a  
10 potentially measureable effect. That was the  
11 reason for the bolding.

12 But as you can see, all of the  
13 predicted concentrations are well below the  
14 criteria of 2,500 micrograms per cubic metre, which  
15 is a 24-hour criteria -- excuse me -- and is based  
16 -- is an odour-based threshold, so it is protected  
17 -- that 2,500 micrograms per cubic metre is to be  
18 protective of odour effects.

19 MEMBER BEAUDET: Thank you very  
20 much. Thank you, Mr. Chairman.

21 CHAIRPERSON GRAHAM: Thank you  
22 very much, Madame Beaudet. Mr. Pereira.

23 MEMBER PEREIRA: Thank you, Mr.  
24 Chairman. My question on disposal of excavated  
25 material has been covered by Madame Beaudet.

1                   CHAIRPERSON GRAHAM: Thank you  
2 very much. Now we'll go to the floor and go first  
3 of all to OPG. Any questions to Ministry of  
4 Environment for Ontario or Health Canada?

5                   MS. SWAMI: Laurie Swami. We have  
6 no questions.

7                   CHAIRPERSON GRAHAM: CNSC, do you  
8 have any questions?

9                   DR. THOMPSON: Patsy Thompson. No  
10 question, thank you.

11                  CHAIRPERSON GRAHAM: Other  
12 government agencies, and I guess those are the two  
13 government agencies today, so we will -- we have  
14 one question that is being given to me by Mr.  
15 Castrilli of CELA.

16 --- QUESTIONS BY THE INTERVENORS:

17                  MR. CASTRILLI: Thank you, Mr.  
18 Chairman. This question arises from some  
19 questioning that was undertaken by Panel Member  
20 Pereira about an hour ago with respect to the  
21 subject of Tritium, and the question -- given the  
22 fact that we have representatives from the Ministry  
23 of the Environment as well as Health Canada, I'm  
24 happy to have any of them answer if you can.

25                               Are there any other nuclear --

1 radionuclides besides Tritium that are either  
2 emitted or discharged routinely to the Great Lakes  
3 by nuclear facilities that are regulated by the  
4 CNSC?

5 CHAIRPERSON GRAHAM: Dr. Thompson,  
6 would you care to --

7 DR. THOMPSON: Patsy Thompson for  
8 the record. Yes, there is, and the -- OPG has both  
9 an effluent monitoring program as well as an  
10 environmental monitoring program that will document  
11 what is released and what the consequences are --  
12 on the environment are.

13 CHAIRPERSON GRAHAM: Thank you.

14 Perhaps OPG, Ms. Swami, you might  
15 be able to give a more fulsome answer to that of  
16 the different releases?

17 MS. SWAMI: Laurie Swami, for the  
18 record.

19 Yes, there are other releases of  
20 radioactive materials through the Radioactive  
21 Liquid Waste Management System. That system is  
22 monitored for tritium as well as the other  
23 components on a regular basis and prior to  
24 discharge.

25 The list of radionuclides

1 potentially emitted is provided in the plant  
2 parameter envelope document that was provided as  
3 part of the environmental assessment for the new  
4 nuclear project. I can provide more details if --  
5 if that's helpful.

6 CHAIRPERSON GRAHAM: Perhaps if  
7 you could just reference it for Mr. Castrilli to  
8 get that information. I think that's what you're  
9 looking for is just to see what other  
10 radionuclides?

11 MR. CASTRILLI: Yes, that's  
12 correct, sir.

13 CHAIRPERSON GRAHAM: So if you  
14 could just maybe give him the reference of where it  
15 might be that maybe expedite the undertakings.

16 MS. SWAMI: Laurie Swami, for the  
17 record.

18 I'm looking at this document and I  
19 can give the nuclear reference from our  
20 documentation system, but it won't give you the  
21 CEAA registry number, and so it will be more  
22 difficult to find. I know it's on the registry.  
23 It was submitted, I believe in November of 2010  
24 with the update to the inclusion of the EC6  
25 material. We provided that information and I think

1 it would be best to give the registry number as  
2 opposed to our report number.

3 CHAIRPERSON GRAHAM: Just to  
4 expedite things, if you want to check that out. If  
5 you can't, come back to us and maybe we'll have  
6 further information for you later, but that should  
7 give you the undertaking, of how to find it. And  
8 if you can't, we'll try and -- OPG will try and  
9 assist you.

10 MR. CASTRILLI: All right. Thank  
11 you, sir.

12 CHAIRPERSON GRAHAM: And that's  
13 been covered? I think that document has been --  
14 just one moment. I think maybe it has been found.  
15 My advice is that it is 414 -- 414 on the CEAA  
16 registry. Okay. Okay.

17 MR. CASTRILLI: Thank you, sir.

18 CHAIRPERSON GRAHAM: Thank you  
19 very much then.

20 Is that all the -- all the  
21 questions?

22 Okay. Thank you very much.

23 Thank you very much, Ms. Ma.

24 Thank you very much to those on the phone from the  
25 Ministry of the Environment.

1                   We appreciate your coming back to  
2 try and get us more fulsome answers and we look  
3 forward to reviewing those answers as we work  
4 towards a decision. Thank you very much and have a  
5 good day.

6                   MR. CASTRILLI: Thank you very  
7 much.

8                   CHAIRPERSON GRAHAM: Now we will  
9 go to an oral statement, which I believe is the  
10 next one, and that is going to be by Liam  
11 O'Doherty.

12                   And, Mr. O'Doherty, if you would  
13 come forward and present us your oral statement.  
14 As I remind everyone, the oral statements are  
15 generally in the vicinity of 10 minutes. And Mr.  
16 O'Doherty, are you here? If not then we'll go on  
17 and time permitting we'll reschedule. If not we  
18 will -- we appreciate his efforts.

19                   Matthew Davidson, Mr. Davidson, if  
20 you -- are you here? Now, just -- are you Mr.  
21 O'Doherty? Are you Liam or are you Mr. Davidson?  
22 Okay, very good. Welcome, Mr. Davidson, and the  
23 floor is yours and you -- we look forward to  
24 hearing your oral statement.

25                   (SHORT PAUSE/COURTE PAUSE)

1     --- PRESENTATION BY MR. DAVIDSON:

2                             MR. DAVIDSON: Hello. My name is  
3 Matthew Davidson and I'd like to start by saying  
4 that I'm a history graduate student at Trent  
5 University.

6                             I bring this up for the simple  
7 reason that as I understand it, a number of  
8 previous presenters have had their credibility  
9 questioned by those in favour of the Darlington  
10 expansion for the simple reason that they were so-  
11 called not experts in their field, while I and I'm  
12 sure many others, would certainly contest this. My  
13 presentation should reinforce the fact that anyone  
14 with basic research skills, can indeed come to a  
15 reasonable conclusion that further nuclear  
16 expansion is a bad idea for Ontario.

17                            Using primarily sources found in  
18 the public realm, I will discuss some of the  
19 relevant history to the Darlington project that we  
20 would be wise to keep in mind before making a  
21 decision on the Darlington expansion. Initially I  
22 was going to focus on the history of opposition to  
23 the Darlington project, making explicit the point  
24 that there has always been opposition to the  
25 Darlington nuclear plant and nuclear power in

1 general, and thus that this newest wave of  
2 opposition is not a historically isolated  
3 phenomenon.

4                   It would have been extremely easy  
5 to do so, to write about such things as the large  
6 banner that was unfurled from atop a transition  
7 tower along the 401 that read, "Honk for no nukes,"  
8 during an anti-Darlington protest in 1979.

9                   However, I realized that this  
10 would be pointless to focus on simply on pointing  
11 out that Ontarians don't want nuclear power because  
12 apparently even Canada's largest civil disobedience  
13 action on environmental issues plus thousands of  
14 people attending anti-Darlington protests weren't  
15 worth listening to the first time around.

16                   So if opposition to nuclear power  
17 isn't considered a legitimate topic, I will focus  
18 on one area which no one can ignore, that is cost.  
19 Simply put, on top of all the other environmental  
20 concerns regarding nuclear, the truth is that it is  
21 simply not a viable option in regards to cost. I'd  
22 like to emphasize that this is not simply my own  
23 opinion. The Economist Magazine labelled nuclear  
24 power as, "Too costly to matter," in 2001 and the  
25 industry magazine, "Nuclear Engineering



1 the time. Five years later, the financial  
2 institution Merrill Lynch was advocating for the  
3 cancellation of 18 U.S. nuclear projects because  
4 the cost was so uneconomical.

5                   Despite the seemingly unfavourable  
6 financial climate to nuclear at the time, the  
7 original Darlington project was built anyways.  
8 This was only supposed to have cost \$3.2 billion,  
9 which again was already deemed not worth the cost  
10 by economists. Yet, the final cost ended up being  
11 a whopping \$14.319 billion.

12                   Recent history -- or sorry, not  
13 surprisingly, the cost of building new facilities  
14 has risen dramatically since Darlington was  
15 completed in the early 90s. This can best be seen  
16 by observing the fact that construction costs have  
17 gone up by 185 percent between 2000 and 2007 alone.

18                   Yes, somehow despite this, OPG  
19 proposes that the price to build new reactors will  
20 be \$14 billion at the high end. This doesn't add  
21 up even before taking into consideration that  
22 Ontario's nuclear projects are typically 2.5 times  
23 more expensive than projected. It would thus be  
24 far more reasonable to view the number proposed by  
25 the Ontario Clean Air Alliance who have estimated a

1 final cost of somewhere between 21 and \$35 billion.

2                                 Recent history bears this all out.

3 The 1999 estimates to return the shutdown Pickering

4 A reactors one and four, were four times higher at

5 \$1.016 billion and 2.7 times higher at \$1.25

6 billion respectively. The Bruce Nuclear Plant

7 restorations have also gone way over both deadlines

8 and budgets. Currently estimated at costing 4.8

9 billion dollars as opposed to the estimated 2.75

10 billion dollars that was announced in 2005.

11                                 If we are to believe any

12 politicians, according to the NDP, all these

13 nuclear cost overruns have resulted in an

14 additional annual cost of over \$500 for the average

15 family in Ontario.

16                                 Lest we be too quick to dismiss

17 these observations based on them coming from

18 environmentalists and leftists, it is interesting

19 and extremely revealing to note that in 2009, a

20 staff member of then Natural Resources Minister,

21 Lisa Raitt, leaked a number of documents to the

22 news broadcaster, CTV.

23                                 Included were details of AECL's

24 bid for the Darlington Contract, which included the

25 following line, quote, "There is the risk that

1 there could be large cost overruns." This  
2 significant statement becomes even more significant  
3 when it is realized that this caveat was in place  
4 when the Ontario Government was willing to pay up  
5 to 20 billion dollars for the new reactors.

6 Since then, the amount that the  
7 government is willing to pay has been lowered. Yet  
8 the real cost of construction can't expected to  
9 have actually followed suit either.

10 It appears that if we are to build  
11 new reactors at Darlington, we will be setting  
12 ourselves up to once again see massive cost  
13 overruns.

14 It should not be surprising to  
15 hear that for many of these reasons, Saskatchewan  
16 has decided not to -- or has decided, sorry, to  
17 rule out nuclear energy as being too costly. And  
18 yet so far this discussion has only referred to the  
19 basic construction costs alone. There are still  
20 many other costs to take into account as well.

21 The issue of what to do with spent  
22 nuclear waste still remains. As of now, the final  
23 cost for dealing with this is estimated to be at 24  
24 billion dollars. New reactors would only cause  
25 this number to increase.

1                   At the same time, the price of the  
2 input is expected to increase as uranium becomes  
3 more costly to extract.

4                   And then finally there is also the  
5 potential costs that would be involved if anything  
6 were to seriously go wrong at the Darlington Plant.

7                   Under Canadian law, nuclear plant  
8 operators are only liable to pay 75 million  
9 dollars. Though the likely financial cost of a  
10 meltdown or any similarly sized disaster would be  
11 closer to 250 billion dollars.

12                  While it's certainly discomfoting  
13 to talk as if such a thing could happen, the recent  
14 events in Japan prove that there always is that  
15 risk. Moreover, there's reason to be sceptical of  
16 how safe our nuclear plants really are, given the  
17 number of issues that have occurred in the past few  
18 years and reported by the media.

19                  Add into this mix, the recent  
20 revelations of the frequency of issues in American  
21 and British nuclear plants and a concerning safety  
22 record for the entire nuclear industry emerges.

23                  Now, quickly before I conclude, I  
24 would like to quickly point out that I have not yet  
25 had the opportunity to discuss the massive amounts

1 of subsidies that the entire nuclear industry  
2 requires to stay financially viable.

3 I have had not had the opportunity  
4 to discuss in full, the cost of the wider uranium  
5 cycle. Nor have I had the opportunity to point out  
6 that renewable electrical rates are actually  
7 cheaper these days than electricity is from  
8 nuclear. And which I may remind everyone was once  
9 supposed to be, quote, "Too cheap to meter."

10 Rather I've relied on a simple  
11 historical approach to point out that nuclear power  
12 is and always has been too expensive. It is simply  
13 too costly to build new nuclear reactors at  
14 Darlington.

15 The Darlington new-build project  
16 needs to be cancelled. Thank you.

17 CHAIRPERSON GRAHAM: Well, thank  
18 you very much for your presentation. Just a  
19 question before I go to the colleagues. When you  
20 say that they're talking about the nuclear  
21 liability insurance, did you say 250 million or  
22 billion?

23 MR. DAVIDSON: Matt Davidson for  
24 the record. The government currently requires the  
25 industry to cover up to 75 million dollars.

1 CHAIRPERSON GRAHAM: I know --

2 MR. DAVIDSON: The potential cost  
3 of the disaster could be as high, according to a  
4 couple of newspaper articles, as 250 billion  
5 dollars.

6 CHAIRPERSON GRAHAM: Billion, not  
7 million?

8 MR. DAVIDSON: Billion.

9 CHAIRPERSON GRAHAM: That's what I  
10 was wondering. Okay, thank you very much. We'll  
11 go now to my colleagues, Mr. Pereira, do you have  
12 any questions?

13 --- QUESTIONS BY THE PANEL:

14 MEMBER PEREIRA: Thank you, Mr.  
15 Chairman. I'll do two passes of this. I'll start  
16 off with Ontario Power Generation on their forecast  
17 of the costs and the concern on the part of many  
18 intervenors about cost overruns and past  
19 performance of industry. And to provide for us  
20 Ontario Power's vision for this project in managing  
21 the cost and the risk of cost overruns?

22 MS. SWAMI: Laurie Swami for the  
23 record. Clearly OPG has focused its efforts on  
24 managing projects and managing the cost of projects  
25 over the past number of years and we have focused



1                                   MEMBER PEREIRA: Thank you. I'll  
2 go to CNSC now to give us an overview of the  
3 question of liability, nuclear liability and what  
4 the Government of Canada is seeking to put in place  
5 on that front?

6                                   And also the question about  
7 funding of nuclear waste management costs?

8                                   MR. HOWDEN: Barclay Howden  
9 speaking. Yeah, the new *Act* that the Government of  
10 Canada wants to put in, called the *Nuclear*  
11 *Liability and Compensation Act*, the last version  
12 that was -- was that second reading when the  
13 government -- Parliament was closed was for the  
14 operators to provide up to 650 million dollars of  
15 insurance. And then the Government of Canada would  
16 enter into a Re-Insurance Agreement with the  
17 insurers to cover beyond that.

18                                  And that was for any type of  
19 accident where there could impacts of ionizing  
20 radiation on people.

21                                  The other question in terms of  
22 waste. Part of the *Nuclear Fuel Waste Act*, which  
23 was passed by the government in the early 2000s,  
24 requires that the operators or the generators of  
25 wastes in line with the 1996 Government of Canada

1 Policy to fund the long-term management of waste  
2 and ultimate disposal with segregated funds borne  
3 from today's generation, so that future generations  
4 don't bear those costs.

5 And that is managed under the  
6 Nuclear Waste Management Organization.

7 MEMBER PEREIRA: So when you say  
8 segregated funds, what does this mean?

9 MR. HOWDEN: That money is put in  
10 and is not available to the operators or to the  
11 governments except for the expressed purpose of the  
12 long-term management of the waste.

13 MEMBER PEREIRA: And just a  
14 question under nuclear liability provision, the  
15 legislation that was put before Parliament, 650  
16 million, how does that compare with provisions in  
17 other countries?

18 MR. HOWDEN: Barclay Howden  
19 speaking. There is different schemes within other  
20 countries. It's generally comparable, depending on  
21 the country.

22 For example, in United States, the  
23 *Price-Anderson Act* requires, I think, 300 million  
24 dollars, but then there is a pooling of funds.

25 In Japan there is unlimited

1 liability, however, the Government of Japan  
2 requires a financial security of 1.2 billion  
3 dollars from each of the operators. In each  
4 country is different and our expectation is that  
5 the *Nuclear Liability Compensation Act* will be back  
6 on the governments order paper in with the new  
7 government.

8 MEMBER PEREIRA: Thank you. And  
9 thank you, Mr. Chairman.

10 CHAIRPERSON GRAHAM: Madam  
11 Beaudet?

12 MEMBER BEAUDET: Thank you, Mr.  
13 Chairman. We've received many submissions  
14 complaining that it's the taxpayer that would have  
15 to pay eventually if there was any serious -- for  
16 the consequences for any serious malfunction or  
17 accident. The proponent is obligated to put  
18 forward the financial guarantee over the years for  
19 decommissioning. Is there any financial guarantee  
20 or financial security for operation, and how do we  
21 compare with other countries with respect to that?

22 MR. HOWDEN: Barclay Howden  
23 speaking. In Canada right now there -- there isn't  
24 a -- any operational financial guarantees in place,  
25 however up -- when British Nuclear originally took

1 over the Bruce site, the CNSC did require an  
2 operational financial guarantee such that they  
3 could -- there was money set aside to ensure that  
4 the -- if there was a financial issue with that  
5 particular operator, that the -- the plants could  
6 be put in a safe shutdown state and maintain for a  
7 long period of time to allow the decommissioning to  
8 be put in place. The ownership of that changed and  
9 the -- there is no operational financial guarantee.

10 In terms of other countries, I  
11 would have to double-check, particularly in the  
12 United States, because most of the utilities are  
13 private utilities, and they're not owned by the  
14 States or the Crown, so we would have to get back  
15 to that -- to you, Madame Beaudet, for operational  
16 financial guarantees.

17 MEMBER BEAUDET: Yes, please.

18 MR. HOWDEN: But the thing is --  
19 that I'd like to point out is that under the  
20 *Nuclear Safety and Control Act* the authority is  
21 there for the commission to require an operational  
22 financial guarantee. But we will do that as an  
23 undertaking.

24 MEMBER BEAUDET: Is it done?

25 CHAIRPERSON GRAHAM: We'll give

1 that one --

2 MEMBER BEAUDET: Sorry.

3 CHAIRPERSON GRAHAM: Pardon me.

4 Give that undertaking number 74 to CNSC to provide  
5 a -- the operational -- details on operational  
6 financial guarantees. And when would you have that  
7 available?

8 MR. HOWDEN: Barclay Howden  
9 speaking. May I report back tomorrow to give you a  
10 timing of that?

11 CHAIRPERSON GRAHAM: Sure. Mmhmm.

12 MR. HOWDEN: Thank you.

13 CHAIRPERSON GRAHAM: Reporting  
14 tomorrow on timing.

15 Madame Beaudet.

16 MEMBER BEAUDET: Thank you. To  
17 follow-up on -- on this, I just have a question on  
18 CNSC PMD 1.2 with the licence to prepare a site.  
19 Where you -- you say that there will be no  
20 financial guarantee if the project doesn't go  
21 ahead. After the licence to prepare site has been  
22 granted and the site is prepared, if the project  
23 doesn't go ahead, financial guarantee would be  
24 zero. We can understand it's because the -- I  
25 mean, there'd be no decommissioning activities, but

1 then if the site is used -- you mentioned that the  
2 site can be used for industrial purpose. That's  
3 why I was wondering, you know, who -- whose  
4 responsibility is it in terms of still monitoring  
5 on the site, and that's why I had -- I had a  
6 question regarding financial security, not just for  
7 the site that will have no further activity, except  
8 follow-up, but also for the existing Darlington?

9 MR. HOWDEN: Barclay Howden  
10 speaking. There's a few options, and the licensing  
11 and financial guarantees would follow the options  
12 that OPG might want to follow. So I can provide  
13 some of the options. So they could prepare the  
14 site and then cancel the project. And the view  
15 that we had was that the site, as long as they were  
16 in compliance with the licence, the site could be  
17 left with no restrictions, and it would be owned by  
18 OPG, and then they could do any other industrial  
19 activities.

20 We would expect them to do --  
21 well, they have three options. One, they could  
22 leave it under the licence to prepare a site,  
23 because they may be just waiting for a future date.  
24 In that case they would have to retain, continue to  
25 maintain the site and follow-up programs per the

1 licence to prepare a site. But, again, since they  
2 were just bringing it to grade, we would not see  
3 the requirements for a financial guarantee, but  
4 recognizing that OPG would be under regulatory  
5 control.

6                   The second option that they could  
7 follow is they could request a licence to abandon,  
8 and basically release that site from regulatory  
9 control, and we would have to determine that it  
10 could be done in a safe manner such that it could  
11 be released for their use. You know, and right now  
12 they own it now, do not have a licence to prepare a  
13 site, but they -- they have it there.

14                   Their third option would be if  
15 they wanted to use this land more for the operating  
16 station from the nuclear standpoint of the  
17 operation station, they could apply to have it --  
18 that licence amended to allow it to be brought in,  
19 in which case it would be under the regulatory  
20 control.

21                   So those would be the three  
22 options. In all cases we would have to assure  
23 ourselves that they would have to -- for any of  
24 those options they would have to make an  
25 application which would have to go through a

1 commission review process, and a decision rendered  
2 to ensure that the site was in a safe state and  
3 that if there was going to be any financial  
4 guarantees incurred, they would have to be put in  
5 place.

6                                 With regard to financial  
7 guarantees, they're normally reviewed on a five-  
8 year cycle, unless there's changes. So if there's  
9 changes occurring to that site for whatever reason,  
10 the expectation is that the licensee then updates  
11 the financial guarantee, and their preliminary  
12 decommissioning plan, and we assess it, whether it  
13 remains proper, for lack of a better word.

14                                 MEMBER BEAUDET: Thank you. Thank  
15 you, Mr. Chairman.

16                                 CHAIRPERSON GRAHAM: Well, thank  
17 you very much, Mr. Davidson. We appreciate your --  
18 your putting your statement in to some questions,  
19 and hopefully that the panel has asked some  
20 questions to get some clarification, but we'll also  
21 review your statement when we review each day's  
22 records. And if there's any follow-ups that we  
23 needs from either OPG or staff or -- or anyone  
24 else, we will, and we appreciate you coming today  
25 and giving us your views.

1 MR. DAVIDSON: Thank you. May I  
2 quickly respond to a couple of comments made, both  
3 by OPG and CNSC?

4 CHAIRPERSON GRAHAM: The rules say  
5 no, but I -- I'm always a little lenient. And if  
6 you keep very, very brief.

7 MR. DAVIDSON: Thank you.

8 CHAIRPERSON GRAHAM: Is it going  
9 to be a question?

10 MR. DAVIDSON: Just a follow-up  
11 comment.

12 CHAIRPERSON GRAHAM: Very short.

13 MR. DAVIDSON: And so, for the  
14 record, it's Matt Davidson again. I just want to  
15 refer to the comment about how the current  
16 government has been seeking to update the nuclear  
17 liability amount. I think it's worth remembering  
18 that as we are now facing an election, that Bill  
19 has been cancelled. So it's still in the air as to  
20 what's going to happen with that.

21 And then in reference to one of  
22 the first comments made by OPG regarding them  
23 saying that they have a proven track record of  
24 meeting projects on time and under budget, while  
25 the projects they referenced certainly they met in

1 that case, the scale of the projects that we're  
2 talking about are extremely different. We're  
3 talking multi-million dollar projects, according to  
4 what they referenced, and then multi-billion dollar  
5 projects according to what I was referencing, which  
6 has a difference -- major difference there  
7 throughout the history. Thank you.

8 CHAIRPERSON GRAHAM: Thank you. I  
9 just had to ask -- because I've lost track, but  
10 this is, I think, the 15<sup>th</sup> day, and over the period  
11 of the last 15 days there has been many intervenors  
12 bring up the topic of -- of liability insurance,  
13 and we -- we'll have to address that, and also the  
14 cost and cost overruns, we've had a lot of  
15 questions to OPG with regard to that, and the  
16 Ministry of Energy for the province and so on with  
17 regard to their -- their plans. And we appreciate  
18 your comments, but we -- we've heard them before  
19 and we take them very seriously in making -- when  
20 we make our decision.

21 Thank you very much and safe trips  
22 back to -- to Peterborough.

23 I'm going to declare a recess  
24 because the next intervenor has -- is going to be  
25 covered under a PMD, so I will say the Chair will

1 resume at 3:17.

2 --- Upon recessing at 3:02 p.m./L'audience est  
3 suspendue à 15h02

4 --- Upon resuming at 3:17 p.m./L'audience est  
5 reprise à 15h17

6 CHAIRPERSON GRAHAM: Good  
7 afternoon again everyone and welcome back.

8 Our next intervenor is Ms. Kelly  
9 White, and her presentation can be found in  
10 PMD 11P1.195 and is quite welcome and the floor is  
11 yours.

12 --- PRESENTATION BY MS. WHITE:

13 MS. WHITE: Good afternoon, my  
14 name is Kelly White and I thank you for the  
15 opportunity to speak today.

16 My argument against the Darlington  
17 proposal is basically based on economics which I  
18 know you've heard quite a bit about.

19 Economically, nuclear generating  
20 stations are expensive outdated large complex  
21 units. The current centralized system is  
22 vulnerable to long, costly transmission distances  
23 and grid failures.

24 Cost overruns, delays, unexpected  
25 shutdowns and ongoing maintenance problems have

1 made nuclear generation the highest cost and  
2 highest risk power source in Ontario.

3 Over the past 50 years, Canadian  
4 taxpayers have subsidized the Canadian nuclear  
5 industry with over \$17 billion. Capital costs  
6 overruns have also been passed on to the  
7 electricity consumer and taxpayers.

8 Historically, actual costs of  
9 projects completed have exceeded the original  
10 estimate by two and a half times. The Darlington  
11 rebuild plan has an estimate between 8.5 and 14  
12 billion and based on past projects, these reactors  
13 could end up easily costing taxpayers between  
14 \$21.25 and \$35 billion.

15 The public is still paying down a  
16 debt incurred by Ontario Hydro totaling \$19.4  
17 billion. In 2009 alone, nuclear debt retirement  
18 payments were \$1.8 billion. This is the equivalent  
19 to \$137.73 per person.

20 At the fiscal year-end, 19.603  
21 billion had been paid to service and pay down the  
22 stranded debt; thereby debt payments have exceeded  
23 the original value. This stranded debt is not  
24 expected to be eliminated until sometime between  
25 2014 and 2018.

1                   Returning the Pickering A unit for  
2 its service has cost electrical consumers \$1.25  
3 billion. Broken down per kilowatt, that is \$2,400  
4 per kilowatt versus \$800 per kilowatt produced by a  
5 high-efficiency gas power plant versus \$1,500 per  
6 kilowatt form a new wind turbine.

7                   Nuclear electrical costs,  
8 production costs, do not cover the additional  
9 expenses like decommissioning a reactor or the  
10 long-term storage of radioactive waste.

11                   Ontario Power Generation assumes  
12 the completed project will have a cost of \$8.5 to  
13 \$14 billion with an average annual capacity  
14 utilization rate at Darlington ranging from 82 to  
15 92 percent. Thus, the price to produce electricity  
16 should cost six to eight cents per kilowatts per  
17 hour based on 2009 numbers.

18                   However, Ontario reactors have  
19 never reached 82 percent or better in the last 25  
20 years. The Pickering A units 1 and 4 nuclear  
21 reactors, during the four years between 2006 and  
22 2009, only reached an average of 64 percent annual  
23 capacity utilization rate. Assuming 64 percent,  
24 the cost of producing electricity is eight to 10  
25 cents per kilowatt per hour.

1                   Ontario Power Generation assumes  
2 it will have a 30 percent debt financing with an 18  
3 percent return on equity for the Darlington rebuild  
4 which rises the cost to produce to 10 to 14 cents  
5 per kilowatt per hour, assuming an 82 percent  
6 average annual capacity utilization rate.

7                   At a rate of 64 percent average  
8 annual capacity utilization rate, this increases to  
9 12 to 18 cents per kilowatt per hour.

10                  As an electrical consumer or  
11 taxpayer, the cost overruns have been passed along  
12 at an average of two and a half times higher than  
13 the original estimate. The Darlington rebuild  
14 could very well end up costing the public \$21.25 to  
15 \$35 billion.

16                  At an average capacity utilization  
17 rate of 82 percent, electrical costs would then  
18 range from 19 to 27 cents per kilowatt per hour,  
19 when a more realistic capacity of 64 percent  
20 indicates 24 to 37 cents per kilowatt per hour.

21                  The Ontario Power authority is not  
22 aggressively campaigning energy efficiency. At the  
23 end of 2009, the Ontario Power Authority contracted  
24 new electricity supply projects with a total  
25 capital cost of \$23.622 billion, yet only spent

1 541.6 million on energy conservation and demand  
2 management.

3 Conservation and efficiency can be  
4 our least cost and highest benefit option, yet for  
5 every dollar the Ontario Power Authority spent on  
6 energy conservation and demand management, 44 was  
7 put towards new contracted supply.

8 Ontario Power Authority's  
9 industrial accelerated program offered industrial  
10 customers energy efficient investments, a savings  
11 of up to 23 cents per kilowatt per hour. With an  
12 average annual payment of 23 cents saved, customers  
13 then pay 2.3 to 4.6 cents per kilowatt per hour  
14 during the first year.

15 Ontario Power Authority's payments  
16 for saving energy are actually 76 to 94 percent  
17 less than the cost to producing kilowatt by  
18 rebuilding Darlington.

19 With newer technology, prices  
20 declining, gas co-generation and combined heat and  
21 power can offer energy efficiency of 80 to 90  
22 percent compared to 33 percent energy efficiency of  
23 a nuclear reactor.

24 In 2009, the existing capacity of  
25 co-generation and combined heat power was 1,281

1 megawatts.

2                                   According to the Ontario Power  
3 Authority, combined heat and power plants can  
4 supply electricity at a total cost of 5.7 to six  
5 cents per kilowatt per hour.

6                                   Combined heat and power plants can  
7 be installed near demand or on-site, such as  
8 apartment buildings, condominiums, shopping  
9 centres, hospitals, schools, airports and  
10 factories.

11                                  An industry expert, Mr. Tom  
12 Caston, believes that Ontario's total combined heat  
13 and power potential capacity is 11,400 megawatts.  
14 Therefore, Ontario's combined heat and power supply  
15 potential is at least 2.8 times greater than  
16 Darlington's nuclear generation station output of  
17 3,512 megawatts.

18                                  Water imports from Quebec now  
19 interconnect between Ontario and Quebec with a  
20 total transfer capacity of 2,788 megawatts. These  
21 available imports could replace more than 75  
22 percent of Darlington's generating capacity.

23                                  Ontario has the opportunity to  
24 purchase electricity from Quebec at a rate of 6.5  
25 cents per kilowatt per hour.

1                                   According to Helimax Energy  
2 Incorporated, the on-shore potential of wind power  
3 alone can reach 1,711 billion kilowatts per hour  
4 per year. The Ontario Power Authority suggests  
5 that wind farms in southern Ontario productions  
6 costs will range from 9.6 to 13.5 cents per  
7 kilowatt per hour.

8                                   Another option is importing  
9 hydroelectricity from Labrador. An expanding  
10 project on the Churchill River could potentially  
11 export to Ontario 3,000 megawatts or 16.7 billion  
12 kilowatts per year.

13                                  So to sort of round out -- there  
14 was a table listed in the submission -- energy  
15 efficiency, we were looking at 2.3 to 4.6 cents per  
16 kilowatt per hour; combined heat and power, 5.7  
17 to 6 cents; water imports from Quebec, 6.5 cents;  
18 hydroelectricity imports from Labrador, 9 cents;  
19 land-based wind power in southern Ontario, 9.6 to  
20 13.5 cents; and, according to the Darlington  
21 rebuild figures, 19 to 37 cents per kilowatt per  
22 hour.

23                                  Instead of relying on nuclear  
24 generators, invest in a combination of energy-  
25 efficient programs, new low-impact renewable

1 supplies, high-efficiency natural gas co-generation  
2 and combined heat and power.

3 Preference should be given to  
4 ecologically benign renewables like water, wind,  
5 solar power and biomass.

6 A distributed generation system of  
7 small- to medium-scale power plants could meet the  
8 growing market demands. Then open up the market to  
9 a diversified pool of power producers, for example,  
10 power coops, municipal utilities, direct energy  
11 companies, manufacturing companies and investor-  
12 owned power companies.

13 Replacement options can meet the  
14 province's electricity needs at a much lower cost  
15 than nuclear reactors. Falling electricity demand  
16 alone, at approximately -- decreasing at 1.6  
17 percent average per year, could almost cover the  
18 gap, half the gap, that will be left when nuclear  
19 power plants go off-line by 2021.

20 A competitive bidding process  
21 could be set up for long-term supply contracts.  
22 The power producers would then be responsible for  
23 upfront capital costs. Cost overruns would have to  
24 be financed by independent suppliers and their  
25 shareholders.

1                   Another option would be to include  
2 a performance guaranty clause to enforce financial  
3 penalties for power suppliers failing to meet  
4 electricity capacity and production targets.

5                   The economy is on the forefront of  
6 many topics and discussion today. I believe it is  
7 time to look at a new, cheaper, greener,  
8 ecologically friendly power sources for our future.  
9 They offer a solution to the overpriced grid band,  
10 outdated Ontario giant nuclear reactors.

11                   CHAIRPERSON GRAHAM: Thank you  
12 very much for your presentation and I'll go now to  
13 my colleagues and panel members.

14                   Madame Beaudet?

15                   --- QUESTIONS BY THE PANEL:

16                   MEMBER BEAUDET: Thank you, Mr.  
17 Chairman.

18                   I have three points to check with  
19 OPG. We mentioned when Pembina Institute was  
20 presenting their submission a few days ago that the  
21 utilisation rate for wind is about 32.6 or 33  
22 percent. I'd like to confirm with you the -- this  
23 submission mentions that for nuclear power it's 82  
24 to 92; is that correct?

25                   MS. SWAMI: Laurie Swami, for the

1 record.

2                               The reference to 82 to 92 percent  
3 was a value that we have used for assessing the  
4 project for the Darlington refurbishment project.  
5 And this material was submitted with the Ontario  
6 Energy Board and has been reviewed by the Ontario  
7 Energy Board.

8                               MEMBER BEAUDET: And what about in  
9 the figure there that the Darlington rebuild would  
10 cost 19 to 30 cents per kilowatt hour. I think we  
11 received from Mr. Sweetnam a different figure a few  
12 days back.

13                              MS. SWAMI: Laurie Swami, for the  
14 record.

15                              I believe that Mr. Sweetnam was  
16 referring to our existing operations. Today the  
17 current that we receive from the -- as regulated  
18 through the Ontario Energy Board.

19                              The Darlington plant, after  
20 refurbishment will continue to be a regulated  
21 asset. And based on our estimates and the current  
22 plan that we have in place, we estimate that it  
23 will be less than eight cents per kilowatt hour  
24 following the refurbishment project completion.

25                              The numbers that are listed here,



1 intervenor is presenting here on the first page of  
2 the written submission, which is paragraph one,  
3 two, three, four, five, six, seven, could you give  
4 us as part of -- we did ask for a total cost, but  
5 could you give us some information as to the debt  
6 financing and return on equity? I mean, what --  
7 what are we looking at here with the new build?

8 MS. SWAMI: Laurie Swami, for the  
9 record.

10 It's very premature and we don't  
11 have that information yet for new nuclear. The  
12 rate of the return on equity is actually set by the  
13 Ontario Energy Board and it's -- we're just far too  
14 premature in this process to be able to assess  
15 that.

16 MEMBER BEAUDET: Thank you.

17 Thank you, Mr. Chairman.

18 CHAIRPERSON GRAHAM: Mr. Pereira?

19 MEMBER PEREIRA: Thank you, Mr.  
20 Chairman.

21 Thank you for the figures you  
22 presented to us in the review. We have had these  
23 sort of reviews from different perspectives and it  
24 depends on which side of the centre line you are  
25 and we get different numbers and we found that in

1 commenting on presenters -- just from different  
2 intervenors would come up -- it is possible to come  
3 out to any conclusion you want to.

4                   And the same can be said with  
5 things like health effects and so on; there's  
6 different perspectives, different ways of using  
7 looking at the same data. It's very challenging  
8 for us as a panel, but we like to hear these views  
9 and to assess them each at -- on their own merit.

10                   For us on the second day of the  
11 hearings, the assistant deputy minister of the  
12 Ontario Ministry of Energy appeared before us and  
13 presented the way the province came up with this  
14 plan for long-term energy generation development in  
15 Ontario.

16                   And he gave us the rationale for  
17 the plans and they gave probably the costs and so  
18 on and the consultation that they engaged in coming  
19 forward. So they -- the ministry did -- and they  
20 consulted with the people of Ontario on what was  
21 the preferred options and came up with the plan  
22 that's before us.

23                   And so as we gather information,  
24 we are challenged with trying to understand the  
25 perspectives that people offer and -- and it's not

1 easy because people have their own preferences and  
2 many have preferences for renewables and green  
3 energy and combined heat and power and distributor  
4 grids. And all of these options are not -- each  
5 have their own challenges and implementation of the  
6 different options, come up with -- you know, you  
7 come up with different challenges that we face.

8                   So my main questions would have  
9 been the ones that were covered by Madame Beaudet  
10 already in talking to OPG on the costs that you  
11 have quoted and we've had different numbers from  
12 them so we'll take that at face value and consider  
13 all the arguments you present. Thank you very  
14 much. Thank you, Mr. Chairman.

15                   CHAIRPERSON GRAHAM: Thank you.

16                   Thank you, Mr. Pereira.

17                   I have a couple of questions to  
18 OPG. It's quoted here that your rate of -- the  
19 average utilization rate referred to at 82 percent  
20 and then down to 64 percent. Your existing  
21 utilization rate at the existing Darlington plant,  
22 what's it running at?

23                   MS. SWAMI: Laurie Swami, for the  
24 record.

25                   The lifetime rate is 83 percent

1 for the Darlington facility. And the current  
2 number -- I'm just checking my number here -- the  
3 current number is 87 -- 87 and a half percent.

4 CHAIRPERSON GRAHAM: The 87 and a  
5 half would be just in the last year; 83 would be  
6 over the life of the plant; is that correct?

7 MS. SWAMI: That's correct.

8 CHAIRPERSON GRAHAM: The other  
9 question that I have is -- and it was referred to  
10 that you -- that you can get I think 2,800 and --  
11 or 2,788 megawatts from Quebec. The -- we were  
12 told in the hearings that there was 1,200 megawatts  
13 of power available -- of hydro power available from  
14 Quebec. Is the 2,788 in -- is the 1,200 going to  
15 be in addition to the 2,788 that you're getting now  
16 or is that 2,788 combined or is that a correct  
17 figure?

18 MS. SWAMI: Laurie Swami, for the  
19 record.

20 That information would be  
21 available to other parties in the electrical  
22 sector. It's not an OPG value so I can't respond  
23 specifically.

24 CHAIRPERSON GRAHAM: Okay.

25 I guess that did come from the

1 Minister of Energy, deputy minister's office. One  
2 other point I guess that's brought out more or less  
3 in this and other interventions, but your rates or  
4 the amount of money you receive for electricity is  
5 regulated. And it's regulated I believe -- it's  
6 called the Ontario Energy Review Board or whatever  
7 it is.

8                   You're getting now -- the figure  
9 was given to us the other day with regard to six  
10 cents or somewhere around 5.8 cents or something  
11 like that. If this project goes ahead and --  
12 regardless what technology is chosen and so on, and  
13 if the capital costs are such that some are  
14 predicting overruns and so on and you tried to  
15 assure us there wouldn't be, but if those happen  
16 and your rates were, as some tables show, could be  
17 up to 18 or 20 cents, would that just put you right  
18 out of the market completely and then the Review  
19 Board would not allow that or -- in the mix or how  
20 would that work, would having such a large change  
21 in the amount of rate that you're getting now  
22 versus what you would get in the future?

23                   MS. SWAMI: Laurie Swami.

24                   The current rate that OPG receives  
25 is 5.5 cents or approximately that. It's not as



1 of the area. Is there any idea of the support  
2 versus opposition, how it has come down? Is it --  
3 in your mind, is it half and half, or how is it in  
4 the area of -- this general area of Darlington,  
5 Oshawa, Whitby area? Have you any idea? Have you  
6 done any polling, or have you -- you've done some  
7 references here to various groups, Sierra Club and  
8 Clear Air Alliance and so on. But what's your  
9 estimation?

10 MS. WHITE: Kelly White speaking.

11 I actually haven't done a certain  
12 polling amongst my peers. I've only been in the  
13 area for three years, so I'm actually in the  
14 process of learning quite a bit about what's going  
15 on at this point.

16 CHAIRPERSON GRAHAM: Thank you.

17 I just wondered if you had a  
18 feeling. Is there grounds, while out there, in  
19 opposition, or is it only -- a lot of people don't  
20 have the -- don't have enough information to make  
21 an informed decision, or how do you -- how do you  
22 read the general public or your friends and  
23 neighbours?

24 MS. WHITE: I would agree that  
25 there isn't enough information out there.

1                   And what's interesting is that  
2 recently OPG showed up at my daughter's school  
3 promoting nuclear power, and yet there hasn't been  
4 an opportunity for other groups to go into the  
5 school to express their renewable sources as  
6 another option.

7                   So I think there does need to be  
8 more information on other sources that are out  
9 there other than nuclear.

10                  I am against it, of course.

11                  CHAIRPERSON GRAHAM: No, that's  
12 what we -- that's what we're hearing and want to  
13 hear is everyone's opinion.

14                  All right. With that, now I will  
15 go to the floor, and I will -- oh, no. Mr.  
16 Pereira, Madam Beaudet, I've had both, have I?

17                  Yes, I've had -- yes.

18                  I didn't check -- do my checklist  
19 here.

20                  OPG, do you have any questions to  
21 the intervenor?

22                  MS. SWAMI: Laurie Swami for the  
23 record.

24                  I just thought I would mention a  
25 couple of points, if I could.

1                   OPG had an extensive consultation  
2 program as part of this EIS development, and we  
3 were in the communities, including Whitby, on many  
4 occasions, and we did provide information to the  
5 public.

6                   I just want to make sure that --  
7 the intervenor is a recently arrived resident, I  
8 would say, and perhaps didn't receive all of the  
9 information.

10                   And our program for -- in the  
11 schools is in support of the Ontario curriculum for  
12 energy, and I would guess that other -- other  
13 producers are fully available to go into the  
14 schools, as OPG is.

15                   And we do initial instruction on  
16 electricity in general, and, of course, nuclear is  
17 discussed, but we provide a full range of types of  
18 generation.

19                   CHAIRPERSON GRAHAM: That's all  
20 you have to say? Okay.

21                   I'll now go to CNSC. Do you have  
22 any comments or overviews?

23                   DR. THOMPSON: Patsy Thompson.

24                   Thank you. We have no questions.

25                   CHAIRPERSON GRAHAM: Thank you.

1 Government participants?

2 And I don't see any here.

3 And I have Mr. Kalevar. I guess  
4 you're our annual questioner, so your question to  
5 the -- to the Chair, please.

6 --- QUESTIONS BY THE PUBLIC:

7 MR. KALEVAR: Of course through  
8 the Chair. I don't like to go through anybody  
9 else.

10 I'm Chaitanya Kalevar from Just  
11 One World.

12 The question is in view of what  
13 the intervenor had just said. Should OPG make a  
14 presentation by itself, or it should always request  
15 an anti-nuclear or environmental group to go with  
16 them? Because obviously they already delivered the  
17 information bias in the community.

18 CHAIRPERSON GRAHAM: I would -- as  
19 Chair, I would think that each group should  
20 request.

21 And this is to the -- to the  
22 intervenor. Have other groups requested to appear  
23 at schools and so on? Have they not been  
24 permitted, or do you -- have you any knowledge of  
25 this?

1 MS. WHITE: Kelly White speaking.

2 I know that no other groups have  
3 come into the school. But I am part of the Eco  
4 Kids Program, and I'm hoping to bring that  
5 information to the -- to the kids that are involved  
6 at this point.

7 CHAIRPERSON GRAHAM: Thank you  
8 very much.

9 Thank you, Mr. Kalevar.

10 Raymond Leistner, Mr. Leistner?

11 MR. LEISTNER: Hi. This is --  
12 this Raymond Leistner.

13 I have a question regarding the  
14 capacity utilization factor that's being used to  
15 calculated the overall cost of power generation.

16 If -- I've been watching the price  
17 of photovoltaics drop at about 7 percent a year  
18 recently. And if in 20 years or 30 years that  
19 price becomes very competitive with retail grid  
20 prices, people are just going to put them on their  
21 roofs all over the place, and they're going to stop  
22 buying from the grid when the sun is shining.

23 Will that adversely affect the  
24 capacity utilization factor that's being used to  
25 justify this reactor build?

1                   CHAIRPERSON GRAHAM: Thank you for  
2 that question.

3                   OPG, would you care to answer if  
4 you had built in that type of scenario and the  
5 supply on the -- the supply and demand may drop?

6                   MS. SWAMI: Laurie Swami for the  
7 record.

8                   The minister -- or the Assistant  
9 Deputy Minister will be here, as I understand it,  
10 later to provide answers to some of these  
11 questions, but this -- the long-term energy plan  
12 establishes the targets over the long run for the  
13 type of generation that will be in the province,  
14 and they have established that.

15                   I can't speak to market forces  
16 that would take place 20 or 30 or longer years into  
17 the future, and perhaps that would be best answered  
18 by the Assistant Deputy Minister.

19                   CHAIRPERSON GRAHAM: Mr. Leistner,  
20 you had a good question, and because the ministry  
21 will be here tomorrow, if you can be here; if not,  
22 perhaps maybe one of the panel members may ask a  
23 similar question or something with regard to your -  
24 - to your observation and concern.

25                   So thank you very much.

1                   That concludes the intervention by  
2 Ms. White. And we thank you very much for coming,  
3 and we appreciate every -- always appreciate  
4 everyone's interventions. And we wish you good  
5 luck in your -- in your work with the schools and  
6 your eco programs. Thank you very much and good  
7 luck.

8                   Now we will go to the -- we will  
9 go to the next presenter, which is Mr. Ahmad  
10 Osgouee. And he -- his PMD is 11-P1.233.

11                   And my understanding is he is not  
12 here. We will endeavour to try and find out if he  
13 plans to present, and if not, we will take his  
14 submission as a written submission.

15                   If time permits, we'll hear --  
16 we'll reschedule him, but if not, because we have  
17 worked these schedules, we will still entertain it  
18 as a written intervention.

19                   So with that, we are through this  
20 afternoon's program as far as interventions go and  
21 -- oral interventions, I should say.

22                   And I think now we'll have some  
23 time that we will go to written ones.

24                   And I'll call upon my co-manager  
25 Ms. McGee to start the process on which ones we

1 were -- we will go with.

2 So, Kelly, it's up to you now.

3 Just give me a minute.

4 We're going to start with P122, I  
5 believe, 11-P122.

6 --- WRITTEN SUBMISSIONS AND QUESTIONS BY THE PANEL:

7 MS. MCGEE: Thank you, Mr. Chair.  
8 The panel will now move to consideration of some of  
9 the written submissions that have been received. I  
10 will identify the PMD number and the writer for  
11 each submission, and then the panel members will  
12 have an opportunity to ask questions or provide  
13 comments.

14 The first group of written  
15 submissions, PMD 11-P1.22 from Doug Goodman, PMD  
16 11-P1.48 from Kathryn Barnes, PMD 11-P1.70 from  
17 Peter Smith, PMD 11-P1.73 from Pierrette LeBlanc,  
18 PMD 11-P1.77 from Josh Snider, PMD 11-P1.81 from  
19 Graham Ketcheson, PMD 11-P1.114 from Raymond  
20 Leistner, PMD 11-P1.129 from Deborah Wiggins, PMD  
21 11-P1.132 from France Benoit, PMD 11-P1.135 from  
22 Erwin Dreessen, PMD 11-P1.138 from Steve Lapp, PMD  
23 11-P1.183 from Marion Copleston, PMD 11-P1.186 from  
24 Robert C. Azzopardi, PMD 11-P1.198 from Jack  
25 Goering, PMD 11-P1.205 from Ruth di Giovanni, PMD

1 11-P1.216 from Brett Dolter, PMD 11-P1.219 from  
2 Brenda Thompson, and PMD 11-P1.224 from Peter  
3 Shepherd.

4 CHAIRPERSON GRAHAM: Thank you  
5 very much for those written interventions. I'll go  
6 to panel colleagues. Mr. Pereira, do you care to  
7 speak to any one or all of these?

8 MEMBER. PEREIRA: Thank you, Mr.  
9 Chairman. I have reviewed all of these panel  
10 member documents and they all form a group, and  
11 generally they talk about the preference for a  
12 recourse to renewable energy generation options.

13 They express concerns of the cost  
14 of a nuclear power, the record of cost overruns.  
15 They raise the questions about health risk and --  
16 related to emissions -- air emissions and Tritium  
17 in drinking water, other releases to the lake.

18 The express concerns about waste  
19 legacies and long-lived waste and the cost of  
20 managing waste over the long term. They urge  
21 energy efficiency in what we chose to do going  
22 forward.

23 They express concerns over the  
24 risks of accidents with nuclear power, and they  
25 also express concerns about security with the

1 nuclear facilities and the risk of terrorism.

2                   Among the odd ones, there's some  
3 that express concerns about the record of  
4 performance of the industry in Canada, including  
5 the performance of the ACL. One of these  
6 intervenors talks about concerns about  
7 sustainability of nuclear power, and one proposes  
8 an option to manage energy demand by reducing the  
9 population of Ontario. Thank you, Mr. Chairman.

10                   CHAIRPERSON GRAHAM: Thank you,  
11 Mr. Pereira, for that overview of these written  
12 submissions. Madame Beaudet.

13                   MEMBER BEAUDET: Thank you, Mr.  
14 Chairman. I do agree with the summary that my  
15 colleague Mr. Pereira has just given. All of these  
16 are against the project except one submission where  
17 he makes a recommendation, but it's not clear if  
18 he's pro or against.

19                   And they're concerned first -- to  
20 concern the real cost compared to nuclear of the  
21 different alternatives and costs and with respect  
22 to environmental risks.

23                   And also he brings a point -- I  
24 think he's probably the only submission of bringing  
25 the point of why OPG has considered that whatever

1 consequences of accidents would be the same with  
2 respect to accidents -- I mean -- yes, consequences  
3 of malevolent acts, and I would like to hear from  
4 CNSC about that. How accurate is it to consider  
5 whatever can happen with the plant would be similar  
6 or exactly -- or equal what could happen with  
7 malevolent acts?

8 MR. HOWDEN: Barclay Howden  
9 speaking. Dr. Newland can provide additional  
10 information if you wish, but we're -- we will be  
11 limited to what we can say. But basically with  
12 malevolent acts, these are basically intentional  
13 acts by people.

14 The initiating event is actually  
15 prescribed information because it would be under  
16 the design basis threat that we spoke about.  
17 However, the way we look at it is malevolent acts  
18 could impact a plant in two manners.

19 One, you have a common mode type  
20 failure, which is where targeted systems or -- or,  
21 like, a pump system where someone would target it  
22 so that all the pumps would fail in a certain -- at  
23 the same time for a certain reason. And there's  
24 another one, which is the common cause, which is an  
25 event -- some sort of attack that would impact

1 multiple systems and equipment, and this is called  
2 a common cause failure.

3 Like, another type of common cause  
4 is, like, a flood that comes in and impacts all the  
5 equipment in a certain area.

6 So what we're looking at is -- is  
7 from the initiating event, regardless of what it  
8 is, is the plant able to survive either a common  
9 mode failure or a common cause failure?

10 Dr. Newland can speak a little  
11 more about the design basis accident and beyond the  
12 design basis just to provide a little bit more  
13 information on how we'd approach that.

14 MEMBER BEAUDET: Yeah. I think it  
15 would be interesting for the public, anyway, for  
16 the ones that are bringing forward their concern  
17 here. In this list, we have about the risks and  
18 the consequences of accidents.

19 DR. NEWLAND: Dave Newland for the  
20 record. I'd like to draw a little bit of a  
21 distinction between design basis accidents and  
22 design basis threats because there is an important  
23 difference. So in design basis accidents, there is  
24 a set of sequences that one can sort of naturally  
25 predict based on failures of certain systems, of

1 certain components, and so you can then build in  
2 defence and depth provisions against those  
3 failures.

4                               For design basis threats, it's a  
5 little bit more complicated, and so because of  
6 that, if you like, additional degree of uncertainty  
7 around exactly what the threat or the equivalent  
8 accident would be, one has -- one identifies vital  
9 areas that must be protected, and then one has a  
10 tactical response on site to protect those areas.

11                              So in one instance, for design  
12 basis accidents and beyond design basis accidents,  
13 we have specific design provisions to deal with  
14 them. For design basis threats, it's the  
15 combination of the on-site tactical response and  
16 the protection of equipment and the functioning of  
17 that -- those pieces of equipment.

18                              In addition, in a similar way that  
19 we have beyond design basis accidents, we have  
20 characterized a beyond design basis threat, which  
21 is essentially a large commercial airline crash  
22 into the containment, and that is assessed, and I  
23 think that is pretty much all that we can say  
24 outside of going into camera.

25                              MEMBER BEAUDET: Thank you. Thank

1 you, Mr. Chairman.

2 CHAIRPERSON GRAHAM: Thank you  
3 very much. Mr. Pereira and Madame Beaudet have  
4 covered everything I found interesting. PMD 216  
5 from Brett Dolter with regard to the paper he  
6 provided on -- from Prairie Forum and the debate  
7 that was going on in Saskatchewan with many of the  
8 same 216 from Mr. Galther (phonetic) with regard to  
9 the paper he provided on -- from Prairie Forum, and  
10 the debate that was going on in Saskatchewan with  
11 many of the same things that we're hearing today,  
12 but it was an interesting -- interesting package  
13 that he provided.

14 The others, I think, have all been  
15 covered, so, Kelly, if you want to proceed with the  
16 next group.

17 MS. MCGEE: Thank you, Mr. Chair.

18 The next two written submissions  
19 for the panel's consideration are PMD 11-P1.19 from  
20 Rob Evans, and PMD 11-P1.46 from Mark DeWolfe.

21 CHAIRPERSON GRAHAM: Madam  
22 Beaudet?

23 MEMBER BEAUDET: These two  
24 submissions -- the concerns of these two  
25 submissions are with respect to waste and long-term

1 management of wastes.

2 One of them, PMD 11.1.19 brings  
3 about the fact that he considers there's no  
4 solution yet for long-term waste storage. And the  
5 other ones is the dangers that would be created by  
6 long-term waste storage.

7 I believe we did ask many  
8 questions because other intervenors have the same  
9 concerns, and so I have no further questions.

10 CHAIRPERSON GRAHAM: Thank you.

11 Mr. Pereira?

12 MEMBER PEREIRA: No. No further  
13 questions. I agree with the comments provided by  
14 Madame Beaudet.

15 CHAIRPERSON GRAHAM: Thank you  
16 very much.

17 Ms. McGee, do you want to proceed  
18 with the next group.

19 MS. MCGEE: Thank you, Mr. Chair.

20 The next group of written  
21 submissions for the panel's consideration: PMD 11-  
22 P1.33 from Richard Denton; PMD 11-P1.47 from Neil  
23 Dobson; PMD 11-P1.50 from Phyllis Ketcheson; PMD  
24 11-P1.52 from Kurt Koster; PMD 11-P1.60 from Fritz  
25 Lemberg; PMD 11-P1.66 from Eva Kralits; PMD 11-

1 P1.71 from Don Ross; PMD 11-P1.72 from Tanya  
2 Szablowski; PMD 11-P1.80 from George Karpat; PMD  
3 11-P1.84 from Frithjoff Lutscher; PMD 11-P1.86 from  
4 Elaine Hughes; PMD 11-P1.88 from Heather Ross; PMD  
5 11-P1.101 from Alexandra Gilbert; PMD 11-P1.107  
6 from William Shore; PMD 11-P1.126 from Janet  
7 Gregor; PMD 11-P1.128 from Karen King; PMD 11-  
8 P1.134 from Barbara Muller; PMD 11-P1.137 from Tony  
9 McQuail; PMD 11-P1.140 from Trevor Chow Fraser; PMD  
10 11-P1.141 from Bob Stuart; PMD 11-P1.190 from David  
11 Huntley; PMD 11-P1.191 from Rena Ginsberg; PMD 11-  
12 P1.204 from Suzanne Crellin; PMD 11-P1.214 from  
13 Maryann Emery; PMD 11-P1.230 from Jason Melnychuk;  
14 PMD 11-P1.231 from Martin Tessler; and PMD 11-  
15 P1.234 from Donald Kerr.

16 CHAIRPERSON GRAHAM: Thank you  
17 very much.

18 Mr. Pereira?

19 MEMBER PEREIRA: Thank you, Mr.  
20 Chairman.

21 These interventions are all not --  
22 do not support the proposed nuclear project. The  
23 concerns raised are health risks, the risks of  
24 cancer and leukemia. There are concerns about  
25 nuclear power accidents; cost overruns, the fact

1 that many consider the nuclear industry is being  
2 subsidized by taxpayers; concerns about long-lived  
3 legacy of waste; tritium emissions; tritium in  
4 drinking water.

5                   The preference in all of these  
6 cases is for going to green energy, renewable  
7 options; distributed grids.

8                   Looking beyond that, there's  
9 references to the record of leaks and spills,  
10 legacy wastes in uranium mining, and -- and  
11 concerns over the energy policy that the province  
12 has adopted being not founded on rationale, which  
13 is aligned with the option of going to its more  
14 renewable solutions.

15                   The concern about the solution  
16 proposed for deep geological disposal of -- of used  
17 fuel waste, the concern that this option is not  
18 proven as being viable.

19                   Among the slightly different ones,  
20 there's one intervenor who -- who advocates use of  
21 geothermal energy. This is different from the  
22 other renewable proposals.

23                   And one intervenor who says he  
24 probably would support the project if it was costed  
25 properly, and it was done in such a way as to -- so

1 as to determine the real cost of the nuclear  
2 generation option, and also if the technology  
3 choice was known so that it could be costed  
4 properly.

5 I have no questions concerning  
6 these interventions.

7 CHAIRPERSON GRAHAM: Thank you,  
8 Mr. Pereira.

9 Madam Beaudet?

10 MEMBER BEAUDET: I agree with the  
11 summary of Mr. Pereira.

12 In addition to that I'd like to  
13 underline that for over a third of these  
14 submissions, with respect to the long-lived legacy  
15 of waste, the fairness principle of leaving to  
16 children and grandchildren, a legacy of long-term  
17 storage waste is specifically brought up in -- in  
18 this package of intervention.

19 And I have no further questions.

20 CHAIRPERSON GRAHAM: Thank you  
21 very much, Madame Beaudet.

22 That concludes our schedule this  
23 afternoon. We're done a lot earlier than what we  
24 planned, but two of the scheduled presenters this  
25 afternoon, one an oral statement and one a written

1 -- written and oral presentation have not shown up.

2                   And as I said at the outset, we'll  
3 try and reschedule, but if time does not permit,  
4 they will not be able to be heard and they'll be  
5 taken -- the oral one will be taken as a written,  
6 and the oral statement, we'll have to reconsider.

7                   With that we are -- we have  
8 finished today's schedule, I guess. We, the floor  
9 will resume tonight at seven, and that's resuming  
10 with, I believe, OPG giving us an undertaking --  
11 some information on Undertaking 15.

12                   So with that we adjourn unless  
13 someone else -- does anyone else have anything to  
14 add? If not, thank you very much and we'll see you  
15 at 7:00.

16                   Adjourned.

17 --- Upon recessing at 4:08 p.m./

18                   L'audience est suspendue à 16h08

19 --- Upon resuming at 6:59 p.m./

20                   L'audience est reprise à 18h59

21                   MS. MYLES: Good evening everyone.  
22 My name is Debra Myles. I'm the panel co-manager.

23                   Welcome back to today's second  
24 session of the public hearing for the Joint Review  
25 Panel of the Darlington New Nuclear Power Plant



1 at the session yesterday.

2 Yesterday afternoon counsel for  
3 the Lake Ontario Waterkeeper, Ms. Joanna Bull,  
4 requested that the Joint Review Panel give  
5 participants the opportunity to ask questions on  
6 the documents, reports, studies and answers filed  
7 by various participants, as directed by the panel  
8 through the undertaking process.

9 In coming to its decision, the  
10 Joint Review Panel reviewed its mandate as defined  
11 by the agreement to establish the Joint Review  
12 Panel, the terms of reference for this review, the  
13 public hearing procedures adopted for this hearing,  
14 together with the rules for procedural fairness  
15 applicable for this review.

16 Throughout this proceeding,  
17 participants have been given numerous opportunities  
18 to present their views, comments and post questions  
19 to the proponent, government participants and other  
20 intervenors. It's important to note that the panel  
21 has allowed registered intervenors the opportunity  
22 to put questions to the presenters or to direct  
23 those questions to the proponent or government  
24 participants where appropriate. The procedures  
25 adopted for this review are there to ensure that

1 the panel obtains all the information that it  
2 requires for it to fulfill its mandate. As we've  
3 mentioned previously the Joint Review Panel process  
4 is not an adversarial process like those of a  
5 court.

6                   The objective of our process is to  
7 ensure that the hearing is conducted as informally  
8 and expeditiously as the circumstances and the  
9 considerations of fairness permits while giving the  
10 panel all the necessary tools to gather the  
11 information it requires. It's the panel's  
12 responsibility to consider all of the information  
13 it deems relevant including the information  
14 received pursuant to undertakings and to come to a  
15 reasonable conclusion on that information.

16                   At this point, considering the  
17 opportunities given to all participants to provide  
18 their comments and questions to the panel regarding  
19 this project, the panel is of the view that  
20 allowing a further round of questions on the  
21 undertakings is not necessary.

22                   As announced previously by the  
23 panel, participants have been given an opportunity  
24 to file final comments. The time line for  
25 participants to file their final comments will not

1 start until the panel believes it has received all  
2 the other documents and information it requires and  
3 those documents are available to all participants  
4 through the public registry.

5                   The panel has decided to increase  
6 the maximum length of the final submission and give  
7 participants an additional 1,250 words or  
8 approximately five pages in which to -- in which  
9 participants are encouraged to provide their  
10 comments regarding the undertakings if they wish to  
11 do so

12                   Considering that a few  
13 undertakings are due after this week, the panel has  
14 decided that this is a better course of action.  
15 For those reasons, the panel has decided not to  
16 grant the request of Lake Ontario Waterkeeper. Mr.  
17 Chair.

18                   CHAIRPERSON GRAHAM: Thank you  
19 very much, Debra.

20                   The first item on this evening's  
21 agenda is Ontario Power Generation and they have a  
22 presentation what will address about -- which will  
23 address Undertaking 15, a review of the report of  
24 Pacific Northwest National Laboratories.

25                   So OPG, the floor is yours.

1 --- PRESENTATION BY MR. SWEETNAM:

2 MR. SWEETNAM: Good evening and  
3 thank you for this opportunity to provide  
4 additional details on the updated effects of hybrid  
5 plume abated cooling tower technology in response  
6 to undertaking number 15.

7 For the record my name is Albert  
8 Sweetnam. We asked today our representatives of  
9 MPR Associates, Marshall Macklin Monaghan and SENES  
10 were the consultants that performed the technical  
11 evaluation of the condenser cooling alternatives  
12 and the associated visual analysis.

13 OPG has updated the visual effects  
14 assessment of cooling options including the option  
15 of mechanical draft cooling towers and co-operating  
16 plume abatement. These are referred to as hybrid  
17 towers. OPG filed with the Secretariat undertaking  
18 number 15 including three technical reports  
19 documenting the updated visual effects assessment.

20 We previously filed the MPR 2010  
21 report in response to undertaking number 3 which  
22 provides additional contacts for our comments  
23 today.

24 To perform the updated assessment,  
25 additional information was obtained from SPX. SPX

1 is the vendor for the Clear Sky Hybrid Wet/Dry  
2 Cooling Tower, the characteristics of which have  
3 been adopted in this assessment.

4                               SPX confirmed that at the  
5 Darlington site, the hybrid towers would generate a  
6 plume some of the time, but it would have less  
7 visibility than the bounding assumption utilized in  
8 the EIS.

9                               As a final element of this  
10 presentation, OPG has prepared a re-evaluation of  
11 the cooling options to incorporate the updated  
12 visual effects assessment and technical information  
13 that has been provided to the Joint Review Panel  
14 during the hearings.

15                              OPG has prepared this figure to  
16 illustrate the layout used to assess the visual  
17 effects using hybrid towers. This is based on the  
18 layout originally provided in the 2010 MPR report  
19 on page 1-8 and includes the spacing for four  
20 linear hybrid cooling towers, sized to provide  
21 cooling for four AP100 reactors in an optimized  
22 configuration.

23                              The four hybrid towers are each  
24 approximately 30 metres tall, 40 metres wide and  
25 400 metres long. The hybrid towers extend a total

1 of 1.4 kilometres from the lake inland to the  
2 railway right-of-way. They require lake infill to  
3 the four-metre depth contour.

4 For illustration purposes, we have  
5 marked in red the two-metre lake infill recommended  
6 by Fisheries and Oceans Canada and the CNSC.

7 The performance characteristics of  
8 the hybrid tower, in combination with local weather  
9 conditions would result in a visible plume about 45  
10 percent of the time during winter; about 10 to 15  
11 percent of the time in the spring and fall and  
12 infrequently in the summer period.

13 The plume dimensions are reduced  
14 to approximately one-third the height, length and  
15 radius of an unabated plume. Based on average  
16 weather conditions at the site in the fall, winter  
17 and spring, the plume would extend approximately  
18 2.6 kilometres before dissipating. The opacity or  
19 density of the plume has been assessed to confirm  
20 an average deduction in density of about 50  
21 percent.

22 The next four slides show the  
23 revised visual illustrations of the plume as it  
24 would appear from various vantage points in the  
25 South Clarington landscape. Each of these views

1 have been reassessed and visually modelled using  
2 the same visual analysis and illustration  
3 procedures described in section 3.2.1.3 of the land  
4 use effects technical support document.

5                   The first view illustrates the  
6 regional views of Lake Ontario typically associated  
7 with views from the Oak Ridges Moraine in  
8 Clarington approximately 10 kilometres north of the  
9 Darlington site. The abated plume will be visible  
10 at this distance, drawing attention to the presence  
11 of the nuclear plant.

12                   This is an illustration of the  
13 views from the Baseline Road and Waverley located  
14 within three kilometres of the Darlington site.  
15 This illustration shows how the plume will be more  
16 dominant in the view south to the lake horizon from  
17 Bowmanville and South Clarington closer to the  
18 nuclear site.

19                   This late afternoon view  
20 illustrates the visibility of the plume when the  
21 light levels are low, backlighting the plume for  
22 more than 10 kilometres east of the plant.

23                   Even though the plume is reduced  
24 in size and density, a person driving west on  
25 Highway 401 will be able to see the plume as they

1 approach the Darlington site. As the daylight  
2 fades, security and safety lighting will continue  
3 to illuminate the plume at night.

4                   The last illustration is the view  
5 east along the shoreline from Oshawa Harbour where  
6 recreational land use and long views are  
7 predominant.

8                   The Darlington site's presence  
9 today is muted by its generally low profile focused  
10 only on the vacuum building.

11                   All of the presence of the new  
12 nuclear power plant structures will not increase  
13 the visibility of the facility.

14                   The plume will emphasize the  
15 visual presence of the Darlington nuclear site from  
16 both the west and the east. Waterfront viewers are  
17 likely to notice the plume.

18                   Chair, we are going to spend a few  
19 minutes explaining this slide because we feel it's  
20 important.

21                   OPG has prepared an updated  
22 evaluation concerning the inputs to the cooling  
23 options presented through this hearing and taken  
24 into account OPG's commitments.

25                   Pacific Northwest National

1 Laboratories suggested a simple evaluation  
2 framework would be helpful to focus attention on  
3 the differences between the technologies.

4 OPG has adopted PNNL's format  
5 using small, moderate, and large descriptors to  
6 distinguish differences between the options. And  
7 we've added a numerical rating scheme assigning (1)  
8 to a small effect, (0) to a moderate effect, and (-  
9 1) to a large effect.

10 The evaluation has not been  
11 weighted as hearing participants with different  
12 perspectives may suggest different weights  
13 depending on their own perspectives.

14 This non-weighted comparison  
15 allows the decision-makers to make their own  
16 judgments regarding the most and least important  
17 considerations.

18 OPG has prepared a summary  
19 evaluation table to focus on the three technologies  
20 since these have emerged as options in the  
21 discussions at this hearing; once-through lake  
22 water cooling, mechanical draft wet cooling, and  
23 hybrid cooling.

24 The first section of the table  
25 reflects the parameters used in the summary slide

1 from CNSC's December 2009 technical briefing to the  
2 JRP.

3 OPG has adjusted their 2009  
4 assessment as follows.

5 Where CNSC had left a blank, i.e.  
6 no value, we used "small" to allow for a complete  
7 assessment.

8 Where mitigation was identified  
9 and adopted by OPG to reduce effects, a "less  
10 effect" rating was selected than the CNSC may have  
11 considered in 2009.

12 OPG has highlighted these  
13 differences in yellow and included the CNSC value  
14 in brackets.

15 The CNSC framework includes nine  
16 topics; five related to aquatic effects and the  
17 others relating to noise, atmospheric, terrestrial  
18 and energy efficient effects.

19 OPG notes that both CNSC and  
20 Fisheries and Oceans Canada have indicated that  
21 fish impingement and entrainment are not  
22 significant effects.

23 OPG has rated impingement "small"  
24 and entrainment "moderate" based on the options  
25 available to further reduce these potential

1 effects.

2 OPG views the infilling required  
3 for cooling towers and associated intake and  
4 discharge pipe installation to be a greater effect  
5 on fish habitat than the smaller footprint of lake  
6 infill and related intake and discharge structures  
7 associated with once-through cooling.

8 With regard to the energy penalty  
9 evaluation, atmospheric cooling systems have a  
10 greater impact on the energy efficiency of the  
11 nuclear facility as the increased pumps, fans, and  
12 other supporting systems all require electricity to  
13 operate.

14 MPR estimates that the increased  
15 electrical consumption by hybrid cooling towers is  
16 2.2 percent, increasing to 5 percent during hot  
17 summer weather when the electricity is most in  
18 demand.

19 MPR recommended in their  
20 evaluation additional criteria, which are provided  
21 in the lower portion of the table. These have been  
22 spoken to by all the participants in the process.  
23 For example, water consumption was raised as a  
24 concern by Environment Canada.

25 Community representatives have

1 provided their positions to the Joint Review Panel  
2 on the potential concerns with cooling towers and  
3 associated plumes.

4 OPG also notes that at our  
5 operating plants, the community has advised -- is  
6 advised in advance of large steam releases. OPG's  
7 experience has been that steam releases have the  
8 potential to raise public concern.

9 The once-cooling option scores  
10 better than the two other options. The advantages  
11 of once-through cooling are due to the  
12 circumstances of the site with access to deep cold  
13 water for the intake and the offshore diffuser and  
14 OPG's commitments to appropriate mitigation.

15 Our final points with regard to  
16 the cooling options relate to the extent of the  
17 excavation that would be required in relation to  
18 the options considered.

19 This first image illustrates the  
20 site today with the bluff intact and no lake  
21 infilling on the east half of the site.

22 This slide illustrates the most  
23 extensive excavation and infilling required for the  
24 hybrid cooling tower option. The hybrid two-tower  
25 option would require the removal of the entire

1 bluff, encompassing the natural bank swallow  
2 habitat and would require lake infilling out to the  
3 four-metre contour.

4                   The last illustration depicts the  
5 excavation associated with OPG's preferred once-  
6 through cooling option. This would reduce the  
7 extent of excavation on the east side of the site  
8 and preserve much of the natural bluff associated  
9 with the bank swallow habitat.

10                   As confirmed in OPG's first  
11 presentation to the Joint Review Panel, OPG remains  
12 committed to ensuring the aquatic effects of the  
13 once-through cooling system are as low as  
14 reasonably achievable.

15                   OPG continues to prefer once-  
16 through cooling over other condenser cooling  
17 technologies as it enables OPG to reduce the extent  
18 of lake infill to the two metres recommended by the  
19 regulatory agencies, preserve the majority of the  
20 bank swallow habitat, and fully addresses community  
21 concerns that have been raised with respect to  
22 cooling towers.

23                   The evaluation of the visual  
24 effects of the hybrid cooling tower option  
25 presented here tonight has not provided any reason

1 to alter OPG's preference for once-through cooling.

2 The numerous studies we have  
3 performed are sufficiently clear to conclude that  
4 further evaluation would only reinforce OPG's  
5 conclusions.

6 As committed, we will continue to  
7 work with the CNSC, DFO, and Environment Canada and  
8 other agencies in the design phase to ensure that  
9 the once-through cooling system that is implemented  
10 would be the best available technology economically  
11 available.

12 We are now ready to take any  
13 questions you might have.

14 CHAIRPERSON GRAHAM: Thank you  
15 very much, Mr. Sweetnam.

16 Mr. Pereira?

17 --- QUESTIONS BY THE PANEL:

18 MEMBER PEREIRA: I don't have any  
19 questions this time. It's a lot of information to  
20 digest, so we'd like to review it and perhaps come  
21 back for questions.

22 CHAIRPERSON GRAHAM: That's  
23 concurred also by Madame Beaudet, so perhaps after  
24 we've had a chance to review all the information  
25 you provided in your overheads, we'll -- and your

1 statement -- we'll go to questions at another time.  
2 So we'll reschedule that on the schedule when --  
3 and give notice so that other interested parties  
4 will be able to participate.

5 So with that, our next participant  
6 this evening is registered to make an oral  
7 statement. And oral statements, as you know the  
8 rules, 10 minutes.

9 And the first participant tonight,  
10 of which only panel members can ask questions  
11 afterwards, is Ms. Wheatley, Eryn Wheatley.

12 Ms. Wheatley, welcome, and --  
13 accommodate you to get set up and so on.

14 --- PRESENTATION BY MS. WHEATLEY:

15 MS. WHEATLEY: Good evening, Mr.  
16 Chairman.

17 CHAIRPERSON GRAHAM: Just bring it  
18 a little closer ---

19 MS. WHEATLEY: A little closer?

20 CHAIRPERSON GRAHAM: --- so they  
21 can pick up the ---

22 MS. WHEATLEY: Is that better  
23 there? Okay.

24 Good evening. My name is Eryn  
25 Wheatley. I'm here today as a concerned, young

1 resident of Ontario to recommend that this project  
2 and that this Panel reject the Ontario Power  
3 Generation's proposal for Darlington New Nuclear  
4 Power Project.

5 I'm recommending that you do not  
6 approve this licence based on the reasons that  
7 OPG's project submission and this Panel has thus  
8 far failed to address, a lack of transparency, poor  
9 process, avoiding and undermining of public  
10 participation, particularly around the safety of  
11 the project, inadequately addressing the  
12 *Sustainable Development Act* of 2008.

13 The Environmental Impact Statement  
14 fails to consider or comprehensively analyze any  
15 alternatives to building new reactors and fails to  
16 meet Environmental Impact Statement Guidelines  
17 violating Canadian law.

18 You've heard many arguments about  
19 safety by other intervenors. My birthday is in two  
20 and a half weeks. I'm turning 25. I'm not  
21 interested in this Panel wishing me a Happy  
22 Birthday, but I -- but I'd -- but for you to  
23 recognize April 1986 for the Chernobyl disaster,  
24 which is also 200 -- or also 25 years ago rather.

25 As these hearings convene, the

1 Fukushima disaster is unfolding in Japan. With low  
2 levels of radiation, reaching as far as Ontario  
3 already, these are only two of many accidents and  
4 incidents at nuclear facilities.

5                   This proposed project puts not  
6 only millions of Ontarians at risk, but also the  
7 over 40 million people who live and rely on the  
8 Great Lakes Watershed. This risk is entirely  
9 unnecessary.

10                   Additionally, it is not possible  
11 to have adequate public participation or scrutiny  
12 from intervenors, as this Panel has allowed  
13 multiple potential and incomplete overviews of  
14 possible reactor setups for this project including  
15 the last-minute submission of the CANDU 6.

16                   This Panel would be allowing  
17 AECL's veiled attempts to save themselves at the  
18 expense and safety and health of the Ontario  
19 public. The reasons a prototype is not been built  
20 to test is because they don't have enough money  
21 without a contract.

22                   OPG is attempting to push this  
23 project through without actually deciding what the  
24 project will be. If you approve this project, you  
25 will be rubber stamping a vague idea of possible

1 projects that erode transparency and meaningful  
2 public participation, violating the principles of  
3 the *Canadian Environmental Assessment Act*.

4 AECL, OPG and the Ontario  
5 Government say there is little risk of accidents.  
6 They have taken a patronizing and paternalistic  
7 approach to nuclear safety, patting the public on  
8 the head, saying everything is fine, then avoiding  
9 and deflecting any difficult questions on the  
10 Darlington new-build.

11 If they're so convinced nothing  
12 will go wrong, why does the *Nuclear Liability Act*  
13 exist? The nuclear industry in Canada lobbied for  
14 legislation that ensures it will be the taxpayers  
15 not the companies responsible to pay for damage in  
16 the event of a nuclear accident.

17 The Polluter-Pays Principle should  
18 apply to this project and all projects that the  
19 Environmental Assessment Agency approves.

20 Not only has a comprehensive cost  
21 and environmental assessment of renewable --  
22 renewable energy alternatives not being conducted  
23 or submitted. OPG and the Ontario Government have  
24 shown, including during the Energy Minister's  
25 participation in this Panel that they are more



1                   One example, a meta-analysis study  
2 finished in 2007 on 103 lifecycle studies completed  
3 by Benjamin Sovacool found that nuclear power  
4 plants produce electricity with about 66 grams  
5 equivalent lifecycle, carbon dioxide emissions per  
6 kilowatt hour. While renewable power generators  
7 produce electricity with only nine to 38 grams of  
8 carbon dioxide emissions per kilowatt hour.

9                   This comprehensive study found  
10 renewable electricity technology -- technologies to  
11 be two to seven times more effective than nuclear  
12 power plants per kilowatt hour basis at fighting  
13 climate change.

14                   And such estimates already include  
15 all conceivable emissions associated with the  
16 manufacturing, construction, installation and  
17 decommissioning of nuclear power plants.

18                   Furthermore, as the available  
19 average ore grade of uranium declines, carbon  
20 dioxide and other greenhouse gas emissions from  
21 nuclear power will increase. This is just one of  
22 many studies on renewable energy that has been  
23 conducted.

24                   Taking a step back and analyzing  
25 the entire scope of the project is something that

1 OPG is not willing to do. The omission of nuclear  
2 waste from their submission by a deferral to  
3 Nuclear Waste Management Organization is also a  
4 massive question mark.

5                   The Nuclear Waste Management  
6 Organization does not have a plan for long-term  
7 nuclear waste management for the waste that already  
8 exists, let alone any new waste. In fact, there is  
9 no long-term waste management plan for nuclear  
10 waste anywhere in the world.

11                   The existing proposal from the  
12 Nuclear Waste Management Organization includes  
13 hypothetical, unproven technology and proposes  
14 burying nuclear waste in economically depressed  
15 northern rural communities without the local  
16 communities actually knowing what the project will  
17 entail before signing contracts.

18                   This incomplete proposal, though  
19 vague about details and science to back it up is  
20 clearly a continuation of the Canadian nuclear  
21 industry's behaviour of exploiting and negatively  
22 affecting rural communities and violating  
23 Indigenous' rights.

24                   This Panel should demand answers  
25 and an environmental assessment on long-term waste

1 management before approving this project.

2 I recommend that this Panel reject  
3 the Darlington new-build by considering  
4 sustainability, Canadian law and the future  
5 generations who will need to deal with the toxic  
6 radioactive legacy of this project for millennia.

7 If you approve this project, you  
8 will be robbing me, my generation and future  
9 generations of Ontario residents of the option of  
10 renewable energy without a comprehensive assessment  
11 of the alternatives to this project.

12 You will be enabling AECL, OPG,  
13 and the Ontario Government's continued bad  
14 behaviours of withholding information to avoid real  
15 scrutiny of a multi-billion-dollar project that  
16 will lock out renewable energy alternatives.

17 I believe the difference between a  
18 politician and a civil servant is that politicians  
19 are concerned with their short-term political  
20 gains, favouritism and have no long-term vision.

21 A civil servant is a person who  
22 honestly considers how the decision they make today  
23 will affect future generations and are willing to  
24 ask tough questions. And aren't simply concerned  
25 with immediate gains and will hold government

1 officials, corporations and individuals accountable  
2 within their mandates.

3 I implore you to live up to these  
4 standards in your decision and to not approve this  
5 politically motivated project.

6 Thank you for your time in  
7 considering my submission.

8 CHAIRPERSON GRAHAM: Well, thank  
9 you very much for -- thank you very much for  
10 your -- covered a lot of subjects and I will go  
11 now -- as I said, only Panel members ask questions  
12 and I'll -- Mr. Pereira, do you have any questions?

13 --- QUESTIONS BY THE PANEL:

14 MEMBER PEREIRA: Thank you. Thank  
15 you, Mr. Chairman. And thank you for your  
16 presentation. We've covered a number of very  
17 important issues, important considerations that  
18 this Panel is charged with addressing.

19 Many of the points you've raised  
20 have already been raised by others before you who  
21 have intervened over the last two and a half weeks.

22 One of the first things you spoke  
23 about was transparency. We believe in this Panel  
24 that we have tried to maintain a process, which is  
25 open and allows -- has allowed for participation by

1 the public and there's been a long period over  
2 which the environmental impact statement prepared  
3 -- submitted by Ontario Power Generation has been  
4 out for public comment, so there has been a  
5 considerable period of time over which we have  
6 sought input and we have received a lot of input.  
7 And over the past two and a half weeks we have  
8 received different views, some in support, many who  
9 have brought up similar comments as you have, so I  
10 believe as far as this panel is concerned, we have  
11 attempted to operate in a transparent manner.

12                   You make some comments about  
13 approval of the project and in that -- with respect  
14 to that, I'd like to just point out the mandate of  
15 this panel.

16                   This panel is looking at whether  
17 the project proposed by the applicant -- that's  
18 Ontario Power Generation -- will cause significant  
19 environmental impact and, really, the aspects under  
20 -- on this here are covered under the *Canadian*  
21 *Environmental Assessment Act*. As far as safety is  
22 concerned for nuclear power projects and anything  
23 in the nuclear industry, there is another layer of  
24 regulation regulated under the *Nuclear Safety and*  
25 *Control Act*, which provides considerable oversight



1 talk about is the options that Ontario Power  
2 Generation is considering with respect to selection  
3 of technology. There is a suggestion in your  
4 comments that the project proposed is being  
5 proposed as an opportunity for AECL to continue to  
6 supply generation capacity.

7                   In the approach that Ontario Power  
8 Generation has described in the environmental  
9 impact statement, they have used a plant parameter  
10 envelope which describes bounding conditions for  
11 the technology that might be adopted. And they  
12 certainly haven't identified a preferred option.

13                   They've used four designs to  
14 define that bounding envelope and the choice of  
15 reactor that they will make from what they've said  
16 -- told us is still open and so whatever they  
17 select will have to be within that bounding  
18 envelope because that envelope is what is being  
19 examined as part of this environmental assessment  
20 process, so there's no -- at this point, as far as  
21 this panel is concerned, we're not looking at any  
22 one of the reactor technologies identified in the  
23 environmental impact statement.

24                   What is before us is an envelope  
25 that describes parameters for which we -- which

1 environmental impacts are being examined, so that's  
2 where we stand.

3                                 In going forward, I'd like to ask  
4 Ontario Power Generation whether they'd like to  
5 comment on how they see the plant parameter  
6 envelope applying for the environmental impact  
7 statement they have put to us to, in fact, identify  
8 what they saw in their proposal as defined by the  
9 plant parameter envelope with respect to selection  
10 of technology.

11                                 MR. PETERS: John Peters for the  
12 record. As we've said in the previous questions  
13 along this line, the plant parameter envelope is a  
14 -- a tool that is used in modern nuclear power  
15 facility studies to give you a capability of  
16 examining a wide range of different machines, all  
17 which have to complete a wide range of safety  
18 assessments and analyses that will accomplish  
19 licensing requirements within the jurisdictions  
20 that they're being designed to -- to work.

21                                 And we feel that we've looked very  
22 carefully at the licensing requirements for nuclear  
23 power plants in Canada, which are modern codes and  
24 standards which are of a very high standard, and  
25 we've examined in each of the plants that the

1 province of Ontario is examining -- we've examined  
2 parameters that cover all of the different aspects  
3 of environmental as well as technological  
4 engineering parameters that -- which must be  
5 considered carefully in assessing effects and the  
6 potential for any kind of accident going forward in  
7 the future.

8                   The work that we've done is  
9 comprehensive in that regard and -- and has been  
10 updated as the process has proceeded and we believe  
11 that the work going forward will bound -- are  
12 bounded by the commitments and the understandings  
13 that we've -- we've provided through that plant  
14 parameter envelope framework.

15                   MEMBER PEREIRA: And just to  
16 extend that a bit, at this point, has Ontario Power  
17 Generation identified any technology that is the  
18 focus of your assessment?

19                   MR. SWEETNAM: Albert Sweetnam for  
20 the record. There is no technology that we are  
21 focusing on at the moment, but the Ontario  
22 procurement system is looking at all four  
23 technologies and the Ontario government has  
24 indicated clearly that they have a preference for  
25 Canadian technology.

1                   MEMBER PEREIRA: Thank you. I'll  
2 now turn to the CNSC. And the intervenor has  
3 expressed some concerns about safety with new  
4 reactors and the concern that there are hazards in  
5 adopting nuclear power as a generation option. I'd  
6 like you to talk about what safety standards we  
7 have in place and how these standards apply  
8 relative to standards that are in place in other  
9 countries that do operate modern reactor  
10 technology.

11                   MR. HOWDEN: Barclay Howden  
12 speaking. I'll start and then ask David Newland to  
13 provide the details, but the setup -- the  
14 regulatory setup is under the *Nuclear Safety and*  
15 *Control Act*. There's a set of regulations that  
16 outline the -- the high level safety requirements  
17 that licensees have to meet. Below that, we use a  
18 series of regulatory documents, international  
19 standards and Canadian standards to guide our work.

20                   One of the primary ones is a  
21 document called RD-337, which looks at the design  
22 of new nuclear power plants and that document has  
23 been put together specifically for new plants. And  
24 I'll ask Dr. Newland to speak to those.

25                   DR. NEWLAND: For the record, Dave

1 Newland. Yes, just to follow on from what Mr.  
2 Howden was saying, we developed RD-337 from 2005 to  
3 2008 specifically with new nuclear power plants in  
4 mind. It covers, we think, all of the aspects that  
5 need to be considered from a regulatory aspect in  
6 terms of systems, how they're designed, the kind of  
7 management practices that we expect a vendor to put  
8 in place to guarantee a good design, and things  
9 like considerations of high reliability and  
10 assessments of accidents that must be performed  
11 over the life of the plant.

12                               We did benchmark our requirements  
13 against international standards such as those of  
14 the International Energy -- Energy Agency and also  
15 against the practices of other countries; for --  
16 for example, the U.S., Finland, France and the  
17 U.K., so we feel that we have a modern set of  
18 requirements for the design of new nuclear power  
19 plants.

20                               MEMBER PEREIRA: Thank you. I'd  
21 like to turn again to the CNSC and ask you to  
22 describe the process that was put in place to  
23 develop the environmental assessment guidelines  
24 which -- with which Ontario Power Generation had to  
25 comply. They prepared their environment impact

1 statement and which guide the -- the conduct of  
2 this assessment by the Joint Review Panel -- or  
3 review by the Joint Review Panel.

4 DR. THOMPSON: Patsy Thompson, for  
5 the record. What I -- the guidelines were  
6 developed when OPG submitted their project  
7 description and so the guidelines take into  
8 consideration OPG's project description along with  
9 the requirements of the Canadian Environmental  
10 Assessment Agency. And in this case, because the  
11 -- it's a joint review, also considered the licence  
12 to prepare site requirements under the *Nuclear*  
13 *Safety and Control Act*.

14 The guidelines were drafted by  
15 CNSC staff, staff of the CEAA, Canadian  
16 Environmental Assessment Agency, Department of  
17 Fisheries and Oceans and Transport Canada. The  
18 CNSC, DFO and Transport Canada are the three  
19 responsible authorities for this project.

20 Once the draft guidelines were  
21 prepared they were shared with the other federal  
22 government agencies who were federal authorities  
23 for this project and would have expertise to -- to  
24 provide to the -- to the assessment. Once the  
25 guidelines were -- the draft guidelines were

1 finalized, they were then issued for a 75-day  
2 public comment period. At the end of the comment  
3 period, all comments were considered, were  
4 dispositioned, and there's a table that provides  
5 how each comment was taken into consideration in  
6 finalizing the guidelines.

7                   The guidelines were issued for  
8 public review at the same time as the Joint Review  
9 Panel Agreement for a 75-day period again, and both  
10 of those documents, after the public review period,  
11 were finalized and became the guidelines under  
12 review agreement that the panel is working with,  
13 and the guidelines served as the basis for OPG to  
14 do the technical work and submit their  
15 environmental impact statement.

16                   MEMBER PEREIRA: Thank you. And  
17 I'll comment, finally, on the issue of nuclear  
18 waste and the challenge of managing nuclear waste.

19                   This indeed is a -- is a challenge  
20 and -- and we, the panel, have received comments  
21 from many intervenors expressing their -- their  
22 concern over the legacy of waste, and if there's  
23 something that we are considering closely, and  
24 we'll be featured in the decision that we  
25 eventually make when we write our report, and the

1 recommendations we present in our report. Thank  
2 you, Mr. Chairman.

3 CHAIRPERSON GRAHAM: Thank you,  
4 Mr. Pereira. Madame Beaudet?

5 MEMBER BEAUDET: Thank you, Mr.  
6 Chairman. I'd like to go on a bit more on the  
7 discussion how the guidelines were prepared. In  
8 the comments you received, was there any request to  
9 consider the project, the full lifecycle of the  
10 project, because we did get a lot of interventions  
11 complaining that we were not looking at the full  
12 cycle of the project from cradle to grave, and  
13 looking also at the mining aspect, et cetera.

14 DR. THOMPSON: Patsy Thompson, for  
15 the record. We did receive comments to the effect  
16 that the -- the assessment should consider a  
17 lifecycle approach, and under the *Canadian*  
18 *Environmental Assessment Act* the requirement is to  
19 assess the proponent's project. And so in  
20 reviewing the guidelines based on the comments we  
21 received, we went back and made sure that the  
22 guidelines were aligned with the proponent's  
23 project description.

24 MEMBER BEAUDET: Thank you. Thank  
25 you, Mr. Chairman.

1                                   CHAIRPERSON GRAHAM: Thank you,  
2 Madame Beaudet. Thank you very much for coming  
3 tonight. As I said, you've given us a lot to think  
4 about. A lot of them have been already been  
5 presented, but they certainly are points that the  
6 commission -- that the panel has to address each  
7 and every one of them, and we appreciate your  
8 sincerity in coming as -- as someone that is the  
9 next future generation that has to go forward. So  
10 thank you very much for coming, and safe travels  
11 back.

12                                   With that I think we should take  
13 -- and I apologize to the next two intervenors that  
14 are coming up, but I think for sake of clarity on a  
15 couple of items that came up in OPG's overheads and  
16 so on, that I'm going to call for a 15-minute break  
17 and come back. We may have some questions to OPG  
18 before we get into the other interventions. So I  
19 declare a break and we'll be back at 8:00.

20 --- Upon recessing at 7:44 p.m./L'audience est  
21 suspendue à 19h44

22 --- Upon resuming at 8:00 p.m./L'audience est  
23 reprise à 20h00

24                                   CHAIRPERSON GRAHAM: Just waiting  
25 for CNSC staff to get back in. I believe you're

1 Ms. Skelly?

2 MS. SKELLY: M'hmm.

3 CHAIRPERSON GRAHAM: And before we  
4 go to you, if you don't stay there, no problems  
5 that -- that we now, I think, have some -- some of  
6 the technical difficulties worked out.

7 Environment Canada, are you on the  
8 phone now? Is Environment Canada -- have we been  
9 able to get them now or not?

10 Well, we'll keep going in the  
11 essence of time, and with regard to Undertaking 15  
12 I understand that the panel members may have some  
13 questions, and then I think the intervenor -- I  
14 think intervenors have some questions. So I guess  
15 we -- we might as well get started, and you can --  
16 maybe the technical people can let us know when  
17 Environment Canada does get on.

18 So, Madame Beaudet, do you --  
19 would you care to start then?

20 MEMBER BEAUDET: Thank you, Mr.  
21 Chairman. In the document -- sorry, MPR, Associate  
22 and Corporate Engineers, on page 5. I was  
23 wondering if -- if you could explain a bit more how  
24 this table 1 and table 2, you say observations from  
25 year 2005 to 2009? This is plume occurrence. This

1 is not a future estimate, so I'd like to have more  
2 information on this table, please.

3 MR. KAUFFMAN: Storm Kauffman,  
4 MPR, for the record.

5 Madame Beaudet, these are the  
6 numbers that were used to provide the seasonal  
7 estimates of the frequency that a plume would  
8 occur. Those were summarized as percentages. They  
9 were derived by using Toronto Pearson Airport  
10 meteorological conditions for the years 2005  
11 through 2009. And as you'll note, after the year  
12 column there's observations. They're hourly  
13 readings, so 8,760 hours in a year.

14 Of those -- of those hours it's  
15 estimated that in the case of table 1 a hybrid  
16 cooling tower would have a visible plume 1,222  
17 hours in that season. In spring, 332, summer, 37,  
18 fall, 365, for a total of 1956. So, for example,  
19 summer, 37 divided by 8,760 gives you the -- sorry,  
20 by 8,760 further divided by four gives you the  
21 percentage of the time that a plume would be  
22 visible in the summer.

23 So most simply, if you use the  
24 number on the far right-hand column of 1,956, and  
25 divide it into 8,760, you'll get a number in the

1 range of 22 to 14 percent for the different years.

2 MEMBER BEAUDET: Thank you. The  
3 other thing is -- and I can't find -- there it is.  
4 I was looking for this table. Page 22, and I don't  
5 know if that's -- you have the overall visual  
6 effect summary chart with plume abatement, and the  
7 visual effect that was done in the land use  
8 assessment of environmental effects without plume  
9 abatement had a few instances where it was -- the  
10 effect -- the overall effect on view was high. Now  
11 it's -- there's no high anymore, and you can see  
12 that also low is -- is more frequent.

13 You do mention, in terms of  
14 percentage, how much it is reduced in terms of  
15 density, and I think it's occurrences. For OPG, do  
16 they consider now that -- because I remember you  
17 said that in the ISU evaluation was that the visual  
18 effect could not be mitigated. It could -- the  
19 natural draft, of course, I mean, obviously we know  
20 it cannot be mitigated.

21 But you didn't provide anything  
22 about mitigation of the plume for the mechanical  
23 draft. So now other people may still object to any  
24 plume, but I'd like to have your comments on -- on  
25 the percentage of the overall view effect that has

1 been reduced considerably. If you have 70 percent,  
2 I mean, this can be considered significant, so I'd  
3 like to have your comments on that, please.

4 MR. PETERS: John Peters for the  
5 record. I can give you what I think is an overview  
6 of what I think the answer is from -- what I know  
7 the answer is from our perspective, and if you  
8 would like some technical discussion, we have the  
9 visual analysis modellers here with us tonight.

10 The point I would make is that the  
11 view -- the views that we have modelled are exactly  
12 the same views that you saw in the bounding  
13 scenario. These are not bounding scenarios. These  
14 are what we would call the 50<sup>th</sup> percentile  
15 representative average conditions across the whole  
16 study area again.

17 So, yes, the views are not as  
18 dramatically altered, and there will be periods of  
19 time when there will be no visibility at all.

20 However, in our presentation, we  
21 point out that we have experienced changes in steam  
22 releases from our plants actually create more  
23 anxiety amongst members of the public, and we've  
24 actually got a notification system established so  
25 that is there notice provided routinely when we do

1 make a steam release that's different than normal  
2 operation.

3                               These kinds of conditions, yes,  
4 they will be less visible, but there will be a  
5 significant amount of visibility, and it will  
6 perhaps be more changeable because it's driven by  
7 wet bulb conditions and temperature obviously.

8                               And we know -- you know, we were  
9 being -- trying to give you a sense that we agreed  
10 that there were mitigations available, and we've  
11 done this analysis completely over to reflect that.  
12 However, we think it was a little bit misleading -  
13 - or the evidence that was being given to you  
14 generally might have lead you to believe there  
15 would be no visual plume from a plume abated tower,  
16 and we believe clearly we have been able to  
17 demonstrate to our satisfaction that that just  
18 isn't true given the technology that we have  
19 available today.

20                               MEMBER BEAUDET: I guess what I  
21 was getting at is, would you revise your statement  
22 by saying there's no mitigation measures? You have  
23 proven here that there are mitigation measures, and  
24 would you consider to do plume abatement? Because  
25 there is a possibility of mitigating this visual

1 effect, so is it -- are the results significant  
2 enough for you to consider plume abatement as a  
3 mitigation measure?

4 MR. SWEETNAM: Albert Sweetnam for  
5 the record. As you can see, we've done significant  
6 work on the mitigation possible. We recognize that  
7 mitigation is possible; however, mitigation only  
8 partially covers the issue. And going along with  
9 that, sure there's mitigation, and if we're  
10 requested to do plume abated towers, we will do  
11 plume abated towers.

12 But I think that it would be  
13 appropriate for the panel to look at the overall  
14 picture, which would include the additional  
15 landfill that's required, the impact on the -- on  
16 the aquatic life as a result of that, and the fact  
17 that the mitigation that would be provided is only  
18 partial mitigation of the issue in terms of  
19 visibility of the plume.

20 MEMBER BEAUDET: Thank you. Thank  
21 you, Mr. Chairman.

22 CHAIRPERSON GRAHAM: Mr. Pereira.

23 MEMBER PEREIRA: Thank you, Mr.  
24 Chairman. I have questions from page 7 in your  
25 report on other considerations. Okay, you say

1 there's limited operating experience with plume  
2 abated towers, particularly for large power plants.  
3 What are the concerns that you have here? Is that  
4 the reliability issue at the bottom, or is it more  
5 than that?

6 MR. KAUFFMAN: Storm Kauffman for  
7 the record. It's a combination of concerns, Mr.  
8 Pereira. The plume abated towers or hybrid towers  
9 represent about .1 percent of the market, and are  
10 rarely, although occasionally, used for large power  
11 plants.

12 Since power plant reliability  
13 depends on its condenser cooling system, if, for  
14 some reason, the towers are not as reliable as  
15 expected, then the plant capacity could be reduced  
16 when it's most needed. So it's a risk, both from a  
17 cost standpoint and a capacity standpoint.

18 We just wanted to point out that  
19 it is -- is another consideration.

20 MEMBER PEREIRA: So the  
21 reliability issue is concerned with what? Power  
22 supply? What is --

23 MR. KAUFFMAN: Yes, reliability of  
24 power supply and long-term operating costs.

25 MEMBER PEREIRA: And as far as

1 reliability of power supply, is it a significant  
2 power burden compared to once-through cooling, or  
3 is there a reliability of power supply issue also  
4 with once-through cooling?

5 MR. KAUFFMAN: I'm not sure --  
6 Storm Kauffman for the record. I'm not sure that I  
7 understood you, but it sounded like you combined  
8 two considerations. One was energy penalty --

9 MEMBER PEREIRA: Well, leave the  
10 energy penalty out of it. But in terms of  
11 reliability of power supply, if there's a concern  
12 with reliability of power supply for the cooling  
13 towers, will that not also apply to once-through  
14 cooling to dissipate a large amount of heat?

15 MR. KAUFFMAN: Storm Kauffman for  
16 the record. No, sir. I didn't mean that there's a  
17 concern reliability of the power supply to the  
18 cooling tower. There is a concern with the  
19 reliability of all the operating fans, pumps, the  
20 more complex system associated with a hybrid  
21 cooling tower.

22 As a result, with the greater  
23 degree of complexity if components are out of  
24 service, that degrades the heat rejection  
25 capability of the tower and leads to the

1 possibility that you cannot make full capacity from  
2 the plant.

3                               MEMBER PEREIRA: Another issue  
4 that you talk about here on page 7 is the amount of  
5 land required for the footprint of the cooling  
6 towers and the concerns about spacing of towers and  
7 recirculation. Are we at the limit of what this  
8 site can accommodate for this type of tower, the  
9 hybrid tower?

10                              MR. KAUFFMAN: Storm Kauffman for  
11 the record. For the hybrid towers, yes, we are.  
12 The linear hybrids, as we've analyzed, will not fit  
13 within the two-metre boundary. You would have to  
14 put them so close together there would be a  
15 considerable amount of what is called  
16 recirculation, where the warm, moist air coming  
17 from one tower enters and passes through an  
18 adjacent tower making it less effective and  
19 resulting, once again, in a loss of capacity in  
20 cooling.

21                              So in order to build the hybrid  
22 towers, you need more lake infill than you do for  
23 mechanical towers, and certainly more than the  
24 once-through cooling.

25                              MEMBER PEREIRA: And might that

1 vary with weather conditions, recirculation and so  
2 on?

3 MR. KAUFFMAN: Yes, sir -- Storm  
4 Kauffman for the record. Yes, sir, it does vary,  
5 but you have to design and lay out the cooling  
6 towers for the worst case weather conditions, which  
7 are summer humid conditions because that's when you  
8 need the power most. You can't move the towers  
9 around once you've built them.

10 MEMBER PEREIRA: Thank you. Thank  
11 you, Mr. Chairman.

12 CHAIRPERSON GRAHAM: Thank you,  
13 Mr. Pereira. I have one question with regard to  
14 your updated site layout, and you've showed the  
15 linear towers and you showed them all east of the  
16 railroad and not on the westerly -- westerly part  
17 of your property, or I think that the way I read it  
18 and the way I look at the railroad and so on. Is  
19 there any reason why you couldn't locate some of  
20 those towers on the westerly side and not do the  
21 infill that you're projecting?

22 MR. PETERS: John Peters for the  
23 record. Could I just -- I assume that we're  
24 talking about our slide number three in the  
25 presentation. And the lake is on the south side of

1 the plant and the railway is on the north side. We  
2 have used -- this is the same layout as we provided  
3 in the plan views for AP1000 and the hybrid cooling  
4 towers layout. So these are encompassing all the  
5 land that we have available from the railway tracks  
6 south to almost the four metre infill point in  
7 front of the plant.

8 CHAIRPERSON GRAHAM: Well, first  
9 of all to clarify, I always take the top of the  
10 picture as being north and that's why.

11 MR. PETERS: Fair enough.

12 CHAIRPERSON GRAHAM: For maps. So  
13 that's why I did that. It didn't answer my  
14 question. My question was, could any of those  
15 cooling towers be relocated or established on the  
16 other side of the railroad track on your land where  
17 the fill is being put, being established and so on?  
18 Instead of going out into the lake, go the other  
19 way. Is there any reason why that couldn't be done  
20 because you do have that land on the northerly side  
21 I guess you'd call it and so on, but in my photo  
22 it's on the left side of the railroad track, to  
23 alleviate the lake infill. I realize that all your  
24 plant layout has been the other way, but can  
25 cooling towers be put on top of fill?

1                   MR. SWEETNAM: Albert Sweetnam for  
2 the record. I'll ask Laurie Swami to address this  
3 question.

4                   MS. SWAMI: Laurie Swami for the  
5 record. I believe that you're talking about a  
6 couple of different aspects, if I could address  
7 both, one, moving the towers further to the west of  
8 the property. We have sited the reactor structures  
9 in -- as close to the centre of our property as  
10 possible for exclusion zone considerations and to  
11 ensure the exclusion zone remains on our property.

12                   The second factor that you  
13 discussed was moving further north of the rail  
14 line. It's a fair distance from the reactors to  
15 the northern part of the property so there'd be a  
16 long pipe that would be required to take the water  
17 from our plants up to the cooling towers. And you  
18 would also have to manage a crossing of the rail to  
19 actually facilitate that and that would be a  
20 difficult passing. And we also have the 500 KV  
21 power lines that go across the property and that  
22 has to be taken into consideration, in terms of  
23 where you could place structures underneath those  
24 lines.

25                   CHAIRPERSON GRAHAM: But to -- the

1 distance that you may have to go in once through  
2 cooling out into the lake, versus the distance you  
3 may have to go in -- over onto the other side of  
4 the railroad track and the relocation of the KV  
5 line, were those all taken into consideration?

6 MS. SWAMI: Laurie Swami for the  
7 record. When we were laying out the sites, the  
8 site layout originally we considered the various  
9 factors including the 500 KV lines, the rail  
10 crossing through the property, the energy that  
11 would be required to pump, whether it's from the  
12 lake or from a cooling tower, all of those are  
13 considerations as we laid out the site in an  
14 optimal manner.

15 CHAIRPERSON GRAHAM: I guess my  
16 only other question would be, is there an optimal  
17 distance that those cooling towers can be from the  
18 reactors? Is there a maximum distance that they  
19 can be located or can they be located, if other  
20 solutions were found?

21 MR. KAUFFMAN: Storm Kauffman, MPR  
22 for the record. Mr. Chairman, there is  
23 considerable flexibility in the siting of cooling  
24 towers, however, as Ms. Swami said, the farther  
25 away that you put them from the plant, the higher

1 the energy penalty you pay.

2 Also on the limited Darlington  
3 site, you get it closer and closer to the 401 and  
4 the conclusion regarding icing, visibility and  
5 other effects from the towers would have to be re-  
6 evaluated and likely be more of a consideration.  
7 So keeping them where proposed helps address those  
8 other side effects of cooling tower operation.

9 CHAIRPERSON GRAHAM: Thank you. I  
10 understand that we now have Environment Canada on  
11 the line and do you have any comments?

12 --- QUESTIONS BY THE INTERVENORS:

13 MR. LEONARDELLI: Sandro  
14 Leonardelli for the record. We just saw the  
15 presentation. I was watching it on the webcast so  
16 we really haven't had time to consider the layouts  
17 that they had there. So we don't have any comments  
18 at this time.

19 CHAIRPERSON GRAHAM: Thank you.  
20 With that then I will go to the process which I've  
21 been following and I'm not going to ask OPG to ask  
22 themselves questions. So I'll go to CNSC, do you  
23 have any questions for OPG?

24 DR. THOMPSON: Patsy Thompson for  
25 the record. If we could, Mr. Chair, we would have

1 one question and then perhaps a statement or a  
2 clarification.

3 CHAIRPERSON GRAHAM: The floor is  
4 yours.

5 MR. McALLISTER: Thank you, Andrew  
6 McAllister for the record. Based on our previous  
7 -- based on our experience in previous EAs that  
8 involved cooling towers, and the case was the Bruce  
9 new build, in their analysis of plumes, they had a  
10 differentiation between a night and day occurrence.  
11 There was a response from a biothermal PG to an  
12 information request indicating that the SACTI model  
13 that was used, doesn't differentiate between the  
14 time of day, i.e., day versus night. Based on the  
15 -- I guess the consultants' experience that we have  
16 here, is there a greater frequency in daytime  
17 versus nighttime for plume development for existing  
18 plants that are out there?

19 MR. KAUFFMAN: Storm Kauffman for  
20 the record. The SACTI model doesn't differentiate  
21 between night and day conditions, but does consider  
22 the actual meteorological conditions which as I  
23 said in answer to Madam Beaudet's earlier question,  
24 were based on hourly readings from Toronto Pearson  
25 Airport.

1 Night, because of the cooler  
2 temperatures and the relatively high humidity in  
3 this vicinity, does have a higher frequency of  
4 fogging or plume conditions than daytime. But as  
5 OPG noted in Mr. Sweetnam's discussion, the  
6 lighting conditions required for security and  
7 operations around the plant make the nighttime  
8 plumes also visible.

9 Dr. THOMPSON: Patsy Thompson for  
10 the record. We had little time to review the  
11 presentation and not a lot of time either for the  
12 document that was provided with -- as undertaking  
13 number 15. We are still of the view with the  
14 information that has been provided and limited time  
15 to review it, that the information still appears  
16 too coarse to support objectively the  
17 identification of a preferred option.

18 The recommendation that CNSC staff  
19 made to the panel in terms of conducting a  
20 quantitative cost benefit analysis I think is still  
21 required and we believe that such a cost benefit  
22 analysis would need to be able to support  
23 transparently decision-making in terms of  
24 identifying a preferred option, and we would say  
25 that a decision analysis matrix is required. The

1 criteria that had been identified in the table in  
2 the presentation, in our view, may not be complete  
3 and a lot of the information that is in document  
4 number 15 is -- we're not sure how and where it's  
5 captured in the criteria that had been identified.

6                   We believe that if OPG is to use  
7 this type of analysis to identify a preferred  
8 option that they would have to identify -- a  
9 weighting of each criteria would need to be and the  
10 weighting be justified because not all  
11 environmental impacts are of equal importance.

12                   And the scores that are provided  
13 for each criteria would need to be justified and it  
14 would -- in a transparent manner with a detailed  
15 analysis of each of the environmental impacts and  
16 how the scores have been identified on that basis.

17                   We -- as just has been discussed,  
18 we still have noted there are discrepancies in the  
19 information presented with regards to the maps and  
20 still have questions about the site optimization,  
21 some of which were more detailed information was  
22 provided a few minutes ago, but we still believe  
23 that the recommendations that we made to the JRP  
24 and our PMD still are appropriate.

25                   CHAIRPERSON GRAHAM: Thank you.

1 I will go -- I'll let OPG come  
2 back at the end, but I'll go to questions from the  
3 floor. And I believe, Ms. Bull, do you have --  
4 someone said three and a half questions. I'm not  
5 sure what a half question is, but we'll try the  
6 first three anyway.

7 MS. BULL: Thank you, Mr. Chair.  
8 Actually my half question was addressed by  
9 yourself, so I appreciate that.

10 CHAIRPERSON GRAHAM: Thank you for  
11 identifying mine as only a half question.

12 MS. BULL: It was an excellent  
13 half.

14 OPG presented information on the  
15 potential plume and the potential for plume  
16 abatement that contradicts the expert evidence that  
17 we heard from PNNL.

18 What's the basis for this  
19 contradiction and will PNNL be given the  
20 opportunity to review this new information and  
21 respond?

22 CHAIRPERSON GRAHAM: OPG?

23 MR. PETERS: John Peters, for the  
24 record.

25 I don't believe that we have

1 actually contradicted PNNL at all. I believe that  
2 what we've done is we've taken the insights that  
3 PNNL provided to the panel and we've gone directly  
4 to the cooling vendor that was used to illustrate  
5 the potential of these hybrid-type towers and we  
6 believe we've done a very credible job of  
7 illustrating what is seen today as the best  
8 technology available from a hybrid cooling tower  
9 point of view.

10 We were trying to just make it  
11 very clear in a factual basis what the nature of  
12 those effects would be. Thank you.

13 CHAIRPERSON GRAHAM: Also, if the  
14 panel sees that we need clarification from PNNL, we  
15 have the opportunity to go back to them on our own,  
16 so your next question?

17 MS. BULL: I appreciate that.  
18 That was a question for the panel as to whether you  
19 would go back to PNNL.

20 My second question is that OPG  
21 submitted that once-through cooling will have a  
22 small or moderate effect regarding impingement and  
23 entrainment, how was this derived when we've heard  
24 evidence that once-through cooling will require  
25 multiple authorizations under the *Fisheries Act*,

1 emit deleterious substance and have the greatest  
2 overall negative impact on fish and fish habitat?

3 CHAIRPERSON GRAHAM: OPG?

4 MR. PETERS: John Peters, for the  
5 record.

6 The evidence we were citing is the  
7 evidence that has been provided through the  
8 discussions before the panel where the Department  
9 of Fisheries and Oceans Canada, as well as CNSC has  
10 indicated that, yes, while there are impingement  
11 and entrainment effects that there are also  
12 mitigations that OPG is committed to employ, which  
13 will reduce those effects.

14 And that from a lake-wide  
15 population and from an overall effects assessment  
16 perspective, the residual effects would not be  
17 significant.

18 MS. BULL: My last question is  
19 following up on your question, Mr. Chair, about the  
20 site layout.

21 In the diagram that OPG presented,  
22 the red line showing to metered depth is actually  
23 the -- all of the cooling towers are within that  
24 red line. I'm wondering why OPG insists that four  
25 metres is required?

1 CHAIRPERSON GRAHAM: OPG?

2 MR. PETERS: Mr. Chairman, John  
3 Peters, for the record.

4 We were referring to the slide 3  
5 that you had provided for your comment and  
6 discussion. And the slide 3 shows that the fourth  
7 cooling tower, the one that's out towards the  
8 lakefront, half -- more than half of the tower is  
9 beyond two metres of depth on the drawing, so the  
10 tower is split essentially.

11 Half is less than two metres and  
12 half is more than two metres. And it's a total of  
13 400 metres long from one end to the other, so it  
14 will clearly be in the lake infill out to four  
15 metres.

16 CHAIRPERSON GRAHAM: Just to  
17 follow up on that, I don't have -- I went through  
18 the site layout plans and those are back at my  
19 hotel, but I didn't -- to go along with what Ms.  
20 Bull has asked, what you produced tonight seems to  
21 be going out further than what the site layout plan  
22 -- is there a change or not? Because I'm trying to  
23 remember what I reviewed myself and it seems to be  
24 going out further and from what we were given in  
25 the site layout plan the other day, I think it's

1 undertaking 29 or one of those.

2 MR. PETERS: Mr. Chairman, we  
3 actually have the slides, the layout slide that we  
4 used on the projector. If it would be helpful, I  
5 can bring them up and we can examine them together?

6 CHAIRPERSON GRAHAM: I think that  
7 would be helpful and helpful also to -- to Ontario  
8 Waterkeepers. If you could bring them up, please?

9 MR. PETERS: Mr. Chairman, the  
10 slide that we have on the screen is -- I've got the  
11 one -- I'm going to go one further here. All  
12 right, here we are. This figure is taken from the  
13 MPR-2010 Figure I4, which was Appendix I.

14 And when we were asked to do this  
15 work, we -- this is the drawing that we have used  
16 to create all the figures and do all the analysis  
17 that we've described and that was stated in our  
18 presentation tonight for you.

19 Now, you can see, I -- I'll ask  
20 any details you want to be covered by the  
21 specialist, but you can see here this is -- the  
22 power block is sitting on the west side of the  
23 property, the railway track is midway up and the  
24 lake infill is at the south end of the bottom of  
25 the slide.

1                   The four lines show the actual  
2 location -- the dark bands show the locations of  
3 the hybrid cooling towers as we optimize them on  
4 the sight. And the question that you've raised  
5 comes as a result of this issue of optimization and  
6 it's well described in the MPR-2010 Report in  
7 association with this slide, this figure.

8                   Mr. Kaufman can give you the  
9 details of what we've had to do, but it comes to  
10 the point, as we said, that you need to make sure  
11 that you don't have the heat being released from  
12 one tower and the moisture released from one tower  
13 being entrained in the intake of the next tower.

14                   So what has been done here is Mr.  
15 Kaufman has looked carefully at the wind rose data  
16 which is also provided through the SENES work to  
17 the panel and made sure that the angle of the  
18 towers and the spacing is optimized for the wind  
19 conditions that are present at the site. That is  
20 why we have shown an actual layout that goes a bit  
21 further into the lake than we had been able to show  
22 in the drawings that we provided earlier.

23                   CHAIRPERSON GRAHAM: Thank you.

24                   As I say, I'll have to check my --  
25 my own drawings and I may -- the ones that you had

1 provided and I may have questions or the panel may  
2 have questions and Ontario Waterkeepers may also  
3 have questions afterwards. Because in my mind, it  
4 didn't go that far into the lake and I think that  
5 was your impression also, so we may have to come  
6 back.

7 MR. PETERS: I would agree with  
8 you, sir, that -- John Peters for the record --  
9 that we were somewhere around three, three and half  
10 metres and this shows closer to four at the -- at  
11 the furthest, outest most point. I accept that  
12 comment.

13 Thank you.

14 CHAIRPERSON GRAHAM: Thank you.

15 MS. BULL: Thank you, Mr. Chair.

16 Just because I didn't use my extra  
17 half, can I ask one follow-up question?

18 CHAIRPERSON GRAHAM: I -- I  
19 will -- we have an intervenor that's being very  
20 patient and I do want to give her the -- the lady  
21 the opportunity, but, yes, you can have another  
22 half.

23 MS. BULL: Thank you.

24 It was just in terms of the long  
25 pipe that would be required to locate the towers

1 north of the rail line and save the infill. Has  
2 any analysis been done comparing the pipe in  
3 convenience with the actual environmental impacts  
4 of filling in the lake?

5 CHAIRPERSON GRAHAM: OPG?

6 MR. PETERS: John Peters, for the  
7 record.

8 We have -- as we've said, we've  
9 looked at the entire property and tried to come up  
10 with layouts that were credible. We fully  
11 considered all of the use of the north part of the  
12 property in coming up with these layouts and we  
13 don't believe that you could successfully locate  
14 these kinds of cooling towers that close to the  
15 401, and in an orientation that would not be  
16 optimized for wind conditions, given the  
17 limitations of the 500 kV right-of-way and the CN  
18 Rail Line for which we do not own.

19 It's a very challenging layout to  
20 imagine how you could fit a 400-metre structure in  
21 the orientation shown in this figure that we just  
22 spoke about and achieve the goals that you are  
23 requesting, so I believe we have considered it  
24 carefully and it's not a credible layout option.

25 CHAIRPERSON GRAHAM: Thank you

1 very much.

2 MS. BULL: Thank you

3 CHAIRPERSON GRAHAM: Mr. Kalevar,  
4 you have a question and I presume, and I would ask  
5 you to make sure it's with regard to the visual  
6 impact of cooling towers and plume abatement.

7 --- QUESTIONS BY THE PUBLIC:

8 MR. KALEVAR: I'll come as close  
9 as I can to that. Thank you very much, Mr.  
10 Chairman.

11 This is Chaitanya Kalevar from  
12 Just One World.

13 Firstly, I would like to say that  
14 I haven't done recently any optimization of -- for  
15 cooling towers, but just looking at it and the  
16 constraints we face at this drawing, it would  
17 appear that maybe they haven't looked at a square  
18 configuration of the four towers, or have they?

19 That might remove the length  
20 required to a little smaller area, and maybe you  
21 don't have a -- the lake infill that is -- they're  
22 talking about.

23 So I'd just like to know that  
24 question, if they have done a square configuration  
25 for optimization or not.

1                   CHAIRPERSON GRAHAM: The question,  
2 I believe, is the configuration of those cooling  
3 towers. I think you answered that, but if you  
4 would answer that with regard to the optimum  
5 placement and the configuration. Would you answer  
6 that question, please?

7                   MR. KAUFFMAN: Storm Kauffman for  
8 the record.

9                   The alternate hybrid cooling tower  
10 configuration would be a round cooling tower such  
11 as shown in PNNL's report.

12                   There's considerably less  
13 experience with that tower, but the main drawback  
14 is that it's very large. It's approximately 53  
15 metres tall. It would be visible from the 401 and  
16 offsite. It would likely fit, but we did not do  
17 arrangement studies.

18                   It also has drawbacks of higher  
19 energy penalties and higher costs. Approximately a  
20 50 percent higher energy penalty is estimated.

21                   So while it wasn't explicitly  
22 evaluated, it was considered less desirable than  
23 the linear hybrid towers.

24                   CHAIRPERSON GRAHAM: Thank you.

25                   And I think, Mr. Kalevar, that

1 answers your question.

2 MR. KALEVAR: Not really. I think

3 ---

4 CHAIRPERSON GRAHAM: Well ---

5 MR. KALEVAR: --- they haven't

6 done it. That's what this tells me.

7 But, anyway, if I may ask another

8 half question.

9 CHAIRPERSON GRAHAM: You can have

10 one more, and then we have to get on with the

11 business, yes?

12 MR. KALEVAR: Sure. Well, since

13 we are working from plant parameter envelope and we

14 haven't got the technology and each technology has

15 a different, how shall I say, radioactive profile

16 in its waste -- we have heard considerably about

17 tritium in many presentations.

18 I would like to know if they have

19 looked at the tritium profile of the plume, if you

20 like, for the different technologies and if they

21 have any idea how that will relate to different

22 technologies?

23 CHAIRPERSON GRAHAM: Thank you,

24 Mr. Kalevar.

25 OPG, do you care to answer that?

1 MR. PETERS: John Peters for the  
2 record.

3 We have not assessed tritium as  
4 being a significant issue for the cooling towers.  
5 We recognize that there is very low amounts of  
6 tritium in the water that we would use to  
7 completely fill the towers, and they would be --  
8 they would be recharged periodically, but there  
9 would not be a measurable difference in tritium as  
10 a result of the use of cooling towers one way or  
11 another.

12 CHAIRPERSON GRAHAM: Thank you.

13 Mr. Leonardelli, do you have any  
14 questions that you now might come up with?

15 MR. LEONARDELLI: Sandro  
16 Leonardelli, for the record.

17 I'm looking at the figure --  
18 Figure I4. So this is the first time I've seen  
19 that figure. Now, which is a better representation  
20 than the other -- the photo from -- from looking  
21 from the west to the east?

22 CHAIRPERSON GRAHAM: Could you  
23 speak closer to the microphone? You're breaking  
24 up.

25 MR. LEONARDELLI: Sure. I'll try

1 to speak a lot louder. Is that better?

2 CHAIRPERSON GRAHAM: Yes, that's  
3 fine.

4 MR. LEONARDELLI: Okay. At risk  
5 of sounding like I'm shouting, the -- I guess the  
6 main problem that's being encountered with this  
7 layout is the fourth cooling tower that extends out  
8 into the lake.

9 And so the question that you  
10 asked, Mr. Graham, about can some of these be  
11 placed on the western side of the property, I think  
12 it -- I think it's a valid question.

13 If you have a pipe that is  
14 underground in the same way that you would have a  
15 pipe that is under the lake or an outfall, it is  
16 possible to place that tower on the western part of  
17 the property, at least conceptually.

18 The problem is in reacting to  
19 these various different layouts that have been  
20 presented over the course of the EIS is that you're  
21 trying to show different things, different aspects,  
22 different -- trying to accommodate towers in this  
23 case and in other cases trying to accommodate  
24 reactors in different configurations, et cetera.

25 We don't really have all the

1 pieces together to do an analysis, I'd say. It's  
2 difficult to know, you know, if they don't have the  
3 four-metre infill, for example, that's shown on  
4 this diagram, where could they place that  
5 additional fill if they were created with layouts  
6 and placement of fill on their property?

7                   So it's very difficult to do an  
8 off-the-cuff assessment and say, okay, you know,  
9 this configuration is problematic and it's going to  
10 require additional infill or not.

11                   So I think it requires more study,  
12 and I'm not sure that all the information we need  
13 is in this one figure.

14                   CHAIRPERSON GRAHAM: With that, I  
15 thank OPG for their presentation.

16                   Do you have anything else to say,  
17 Mr. Sweetnam, before we go on to the next part of  
18 the agenda?

19                   MR. SWEETNAM: Albert Sweetnam,  
20 for the record.

21                   Some of the comments we've heard  
22 basically indicate that perhaps everybody did not  
23 have enough time to review our submission. I think  
24 it was posted yesterday.

25                   But perhaps after people have had

1 an opportunity to review it further, they could ask  
2 additional questions.

3                   From our perspective, we've  
4 actually considered the cost and benefits of the  
5 various cooling technologies appropriate for  
6 decision-making.

7                   Further, OPG in this discussion  
8 has included the criteria used by PNNL and the  
9 CNSC.

10                   We also know that the CNSC has  
11 identified five of nine items for aquatic impacts,  
12 which we believe implicitly weighs the aquatic  
13 effects greater than others listed.

14                   Having said that, OPG is committed  
15 to work with the regulators, ensure that the final  
16 layout of once-through cooling water design is  
17 optimized in accordance with the CNSC  
18 recommendation.

19                   CHAIRPERSON GRAHAM: Thank you for  
20 that, and the panel will consider all of the  
21 different aspects in working towards seeing what  
22 our decision might be.

23                   With that, I thank you for  
24 providing answers to undertaking number 15.

25                   And I'll now move to our next



1 at the House of Commons. A lawsuit has been  
2 launched. And Bruce Power made a recent  
3 announcement about their shipment. So I've had to  
4 rewrite the whole thing, but I will read what I  
5 have and not what I submitted last night.

6                   And I'm going to be telling you  
7 the story that I've experienced, but I'm sure that  
8 it will relate to a lot of the residents here that  
9 live around the Darlington station -- nuclear  
10 station.

11                   And when I'm done, it will give  
12 you an idea of what happens to residents when they  
13 don't really agree with what the operators of a  
14 generating station have plans to do. And it will  
15 also tell you what the residents experienced when  
16 operators want to get rid of nuclear garbage and  
17 when, perhaps, an accident happens at that station.

18                   So I'll start to tell you the  
19 story.

20                   I'm not a nuclear scientist. I'm  
21 a retired registered nurse but foremost I'm a  
22 concerned citizen and I became an environmental  
23 activist out of necessity.

24                   In 2009, I sold my house in Sauble  
25 Beach and I moved to Owen Sound. I had had enough



1 the G-20 and at the Caledonia incidents. They met  
2 me and asked me if I knew how to have a peaceful  
3 protest and I thought, "Oh, I didn't even think of  
4 having a protest, but now that you've mentioned  
5 it," but, no, I'm not going to have a protest. But  
6 I guess once you decide that you -- you are in  
7 opposition to things like this, your name gets on a  
8 list and that's what happens.

9                   And I've learned that because once  
10 I went to the media with that, I started getting  
11 all these emails from people who had been in  
12 opposition to windmills and all sorts of things and  
13 they emailed me to tell me these stories. And I  
14 thought I was living in a democracy.

15                   So here's the answer to the  
16 questions that I'd asked. Had there been community  
17 consultation at all? No. I had just heard about  
18 it in the media and I found it on the -- city  
19 council minutes online and it was just by chance.  
20 City council's stand on the issue was pure  
21 complacency. They stood by the information that  
22 Bruce Power and our medical officer of health, Dr.  
23 Hazel Lin, had given them and the CNSC had been  
24 giving them. According to council, that this is  
25 precedent setting and that's really important

1 because this is precedent-setting; this project is  
2 perfectly safe. The only information they got was  
3 from them and that was all okay.

4                   So I started a citizens' group  
5 called CARGOS and we met, started petitions, asked  
6 questions, liaised with other environmental groups  
7 like the Sierra Club and -- and just other groups  
8 that we found online and locally, and we challenged  
9 Bruce Power, and we asked them questions and they  
10 didn't like that. And we pressed for public  
11 hearings and so did all the other groups and we  
12 finally did get public hearings.

13                   We decided that we would try to  
14 get the shipment stalled by getting city council to  
15 refuse Bruce Power a heavy load permit. They had  
16 told us that they needed a heavy load permit to  
17 bring all these big bus-sized generators down this  
18 big, big hill past my house and to the harbour,  
19 that's -- that's what they needed. So we asked  
20 city council, "Well, then just don't give them the  
21 permit." Well, when they went to Bruce Power, they  
22 said, "Well, we really don't need the permit  
23 anyway. We just told you we did." So council then  
24 told us, "Well, we really don't need -- they don't  
25 need the permit anyway." So council then was

1 informed by Bruce Power's lawyer that if they tried  
2 to challenge them with anything legal, that our  
3 city didn't have enough money in their bank account  
4 to challenge them in the court.

5 Well, the public hearings were  
6 held and I was an intervenor at the CNSC and I  
7 heard a lot of misinformation, as Bruce Power calls  
8 it. And the OPP, the provincial liaison officers,  
9 they were there too.

10 Then the federal government called  
11 for some standing house committee hearings. The  
12 natural resources division called for that and they  
13 said they were going to look at the issue of  
14 transporting and getting rid of nuclear garbage,  
15 and we were really happy about that because we  
16 thought, "Finally." And I asked for a place on the  
17 agenda because we were a local voice; I was denied,  
18 but the only local voices that were heard were  
19 people that were in favour of Bruce Power's  
20 project, so that was more democracy in action.

21 Then the Sierra Club and the  
22 Canadian Environmental Law Association launched a  
23 lawsuit against Bruce Power and they claimed that  
24 an environmental assessment should have been done  
25 before they transported this -- these nuclear

1 generators -- decommissioned steam generators,  
2 excuse me. And that's where all this environmental  
3 assessment and guidelines come in. These are only  
4 good -- as good as the paper they're written on  
5 because if the people that they've made the  
6 agreements with say, "We're not going to do it,"  
7 then you have to go to court to get them to do it  
8 and that's where we're -- why we're in the position  
9 we're in today. They made an agreement in 2006 and  
10 they're not going to go by it. Now, we have to  
11 take them to court to do it.

12                   Bruce Power though, now that we  
13 have a court case against them, says, "I think  
14 we're going to do some more consultation with the  
15 public and especially with the First Nations group  
16 before we go ahead."

17                   I believe that the expansion here  
18 at Darlington should not take place for these  
19 reasons. Nuclear power creates nuclear garbage.  
20 We call it waste, but that just sanitizes it, it's  
21 really garbage. And this garbage is really  
22 dangerous. It has to be disposed of, but nobody  
23 wants it. The facilities that generate the garbage  
24 don't even want it, so that's a really good sign.

25                   They say it's too expensive to

1 store, so they either do one thing. They bully the  
2 communities where they want this waste stored to  
3 take it and ship it to or they entice communities  
4 that are in real financial -- they're in really  
5 financial hardship and they give them these  
6 incentives to take the garbage.

7                   Like Hornepayne, I lived there, I  
8 was a nurse in their beautiful little hospital and  
9 now they've got no mill. They've got nothing and  
10 they're thinking of taking the garbage.

11                   It's beautiful up there. People  
12 go up there to fish and hunt. Now, they're going  
13 to bury nuclear garbage, that's what they'll be.  
14 You know, they've got a big bear up there, you  
15 know, and people go up there. Now, they can say,  
16 "We're the home of nuclear garbage."

17                   Communities where these generating  
18 stations are located, like this, and like up in  
19 Port Elgin and wherever, where I'm from, they're  
20 generally in favour of nuclear power because the  
21 jobs there are really great. The money's good and  
22 these plants are well paying and -- and they're --  
23 and they're good corporate citizens. You know,  
24 they'll donate to the United Way and then they'll  
25 give turkeys to everybody, you know, and for good

1 reason. Because when you want to ship garbage out  
2 through their harbour or when the workers, you  
3 know, experience a leak and they've got all these  
4 poor people that have been at risk with radioactive  
5 waste or -- or, you know, Tritium or whatever, you  
6 want to be in good standing there, you know. And  
7 they spend the money in the stores, you know, so it  
8 just makes good business sense. But you can't  
9 trust them to make good decisions on the residents'  
10 behalf. The case in point is the Bruce Power and  
11 the steam generator fiasco.

12                               Now, nuclear energy facilities and  
13 their waste management and the expansion of these  
14 -- of these facilities is far too complicated an  
15 issue and too much a conflict of interest for  
16 municipal and provincial and -- and federal  
17 governments to be handling on their own. It's got  
18 to be a whole group of people working together.

19                               And -- and, for instance, Owen  
20 Sound city council is in favour of Bruce Power's  
21 project. Well, that's a no brainer. The mayor  
22 sees no problems with the proposal and the  
23 council's going on a tour of the generating  
24 station. I went in and I said, "Well, what are you  
25 going to do?" "Well, we're going on a tour of the

1 plant." Meanwhile, the mayors of the Great Lake  
2 cities, all the provinces of Quebec, cities in the  
3 U.S., all the First Nations communities,  
4 environmental groups, everybody is saying, "We  
5 don't want the project to go ahead."

6                   There was no consultation with any  
7 of us residents and -- and if -- if the -- if there  
8 had been the results -- if you'd taken a poll  
9 though in Owen Sound, you'd probably get most of  
10 the residents are in favour because people work at  
11 the plant and they spend money in Owen Sound, so  
12 you -- you have to look at the demographics if you  
13 want to -- you'll never get a true reading of who's  
14 in favour of the project and that's why, and, of  
15 course, the charitable donations. I've got to go  
16 back to that.

17                   But the medical officer of health  
18 may make recommendations, but the medical officer  
19 of health is not an expert of all things nuclear  
20 and, in some cases, doesn't even cooperate with the  
21 public. For example, recently Andrea Horwath of  
22 the NDP requested copies of the risk assessments  
23 that the medical officer of health, Dr. Hazel Lin,  
24 supposedly had done, and that was done through a  
25 privacy commissioner request. I've seen what she

1 got and they were not risk assessments or they  
2 weren't even risk assessments that you'd commission  
3 to have someone done. I haven't seen them.

4 Now, in all respect for Dr. Lin,  
5 maybe she's done them by now and sent them, but at  
6 the last that I've read, and I think it was here by  
7 video, Dr. Lin said she had sent them, but I  
8 haven't seen them and I don't think we're going to  
9 see them. But I haven't seen a scientific risk  
10 assessment that Dr. Lin did for this project. She  
11 was supposed to have done one. There is none that  
12 I've seen. And we're supposed to be basing all of  
13 this data and our health on what she said.

14 So I recommend that governments,  
15 both provincial and federal -- and municipal  
16 levels, create a citizens' panel to make  
17 recommendations about the disposal of garbage,  
18 about the expansion of plants, anything that has to  
19 do with nuclear power. And this panel should not  
20 be elected. It should be -- or shouldn't be  
21 appointed, it should be elected. There shouldn't  
22 be CEO; there shouldn't be union members or  
23 employees of generating stations and they're not --  
24 they're not an advisory. They should be meant  
25 there -- they are part of the group discussions and

1 the decision making.

2                               Enough of the bullying and  
3 influence of these giants making important  
4 decisions on our behalf. This is tearing apart  
5 communities and causing great harm with no  
6 consideration for the health of the residents and  
7 the environment and it's only considering the  
8 bottom dollar.

9                               There are alternatives for sources  
10 of energy. We don't need any more nuclear and we  
11 certainly don't need to expand the existing  
12 generating stations to make more garbage that  
13 people are going to have to bury under beautiful  
14 pieces of landscape and then put in Owen Sound  
15 Harbour and take it down past my house. I also  
16 believe that concerned citizens should not be  
17 viewed as suspects under the law and their privacy  
18 shouldn't be violated and had to be visited by the  
19 police, just for challenging Big Brother at some  
20 nuclear plant or windmill consortium because you  
21 spoke out; it's just not right. But they can  
22 monitor your phone calls and your computer and I  
23 know that. They can just monitor my calls now  
24 because I questioned.

25                               So that's what happens when you

1 speak out and it'll be happening here when the  
2 residents say they don't want it. So that's --  
3 that's all I have to say, but I don't think it's a  
4 good idea. We've got enough garbage; we've got  
5 enough nuclear; let's look at other things. And  
6 when people speak up against it, they have a right  
7 to speak up against it and when they do it with  
8 respect, respect them back. Thank you.

9 CHAIRPERSON GRAHAM: Thank you  
10 very much, Ms. Skully or Skelly I guess it is, not  
11 Skully. Thank you very much for your presentation.  
12 Thank you for the overview with regard to steam  
13 generators, but as you appreciate, we can't speak  
14 about it because it's legal -- because it's before  
15 the courts, but certainly you have covered some  
16 other issues that I'm sure -- we may have some  
17 questions and I'll go first of all to Madam  
18 Beaudet.

19 --- QUESTIONS BY THE PANEL:

20 MEMBER BEAUDET: Thank you, Mr.  
21 Chairman. As you know, OPG has done an extensive  
22 communication program about the project. And I'd  
23 like to ask OPG if the concerns that are brought  
24 about when you have meetings or open houses, do you  
25 follow -- I think you have a document that

1 indicates the concerns brought about and how it was  
2 included in the environmental impact assessment.

3 Can you give more details, please?

4 MR. SWEETNAM: Albert Sweetnam for  
5 the record. I'll ask Donna Pawlowski to address  
6 this question.

7 MS. PAWLOWSKI: Donna Pawlowski  
8 for the record. Good evening. We have two things:  
9 We have a sequel or comment database and an issue  
10 management database that we used throughout the --  
11 up to five years now that we've been communicating  
12 and consulting about this project. And so whenever  
13 an issue or a comment was made, we would enter it  
14 into our database and follow up with appropriate  
15 action. Generally it was to respond to a query or  
16 a question, an explanation or clarification.  
17 Sometimes we had to go back and do some additional  
18 work and provide additional information. So we  
19 would make sure that every comment we received was  
20 responded to in some way or format.

21 MEMBER BEAUDET: And the concerns,  
22 do you have a list where you have proposals or  
23 recommendations on how certain aspects of the EIS  
24 should be done differently? Do you also have a  
25 record that -- what you have changed? You know,

1 for instance, this issue was proposed and it was  
2 included in the EIS, do you have a record of that?

3 MS. PAWLOWSKI: Donna Pawlowski  
4 for the record. In the chapter 4 of the  
5 communications and consultation technical support  
6 document, we describe how we -- the type of  
7 information we received and how we used it in the  
8 environmental assessment or how we would consider  
9 it in further work. And of course, the most  
10 significant one that we point to is the community  
11 concern with respect to cooling towers, but we also  
12 received feedback on the EA methodology, the  
13 criteria to be used in the significance assessment,  
14 the projects to be considered in the cumulative  
15 effects list of projects. So there are many areas  
16 where we received community feedback.

17 I'll also just add another point  
18 that I don't think we've raised before, but  
19 remember that this is probably the fifth  
20 environmental assessment we've done in Durham  
21 Region in the past ten or twelve years. And what  
22 we do is build upon each environmental assessment.  
23 We aren't starting from scratch. And so oftentimes  
24 we're meeting with the same community in all  
25 instances as well, so there really is a collective

1 view of the community over the past ten and twelve  
2 years, that's reflected in this environmental  
3 assessment.

4 MEMBER BEAUDET: Thank you. Thank  
5 you, Mr. Chairman.

6 CHAIRPERSON GRAHAM: Thank you,  
7 Madam Beaudet. Mr. Pereira?

8 MEMBER PEREIRA: Thank you, Mr.  
9 Chairman. I just would like to make an  
10 observation. We hear about -- we understand the  
11 anxiety you've gone through with this particular  
12 experience in your community, but we have heard  
13 from many intervenors here at these hearings, about  
14 the experience with the Darlington new reactor  
15 project, and there have been many intervenors from  
16 the community who support the project, and some who  
17 don't, who are against the project and do not wish  
18 this project to be implemented in their -- in their  
19 region.

20 But we've not heard of anyone who  
21 has talked about being intimidated or harassed in  
22 any way in the course of the interaction. It's --  
23 all we've heard about is an opportunity to consult  
24 or to offer their views and there've been no issues  
25 brought to us so far. The hearings do continue for

1 a few more days -- for a couple more days, about  
2 the sort of experience you've had. Thank you.

3 CHAIRPERSON GRAHAM: Thank you,  
4 Mr. Pereira. Two other points I'd like to make.  
5 First of all, this environmental assessment will  
6 cover the complete lifecycle of the plant including  
7 nuclear waste. I'm not going to comment on the  
8 others whether they did or they did. But this one  
9 will and their mandate is to cover the complete  
10 lifecycle and that is for a very long time. So  
11 that is covered that way.

12 The other -- just the other  
13 question I had because we've -- we've had  
14 interventions that have talked a lot about  
15 alternate power, alternate means of generating  
16 electricity. And a lot of times it's been cited  
17 about wind and solar and so on. And you've  
18 mentioned at least three times, I made a note,  
19 about opposition to wind. Is there opposition to  
20 wind in some areas?

21 MS. SKELLY: In Gray County  
22 there's a lot of opposition to wind; in certain  
23 pockets of Gray County. Some are in favour and  
24 some are in opposition to it. Dr. Lin thinks that  
25 wind power is very dangerous, but nuclear power is

1 fine. Nuclear waste is fine; wind power will kill  
2 you. It's going to give you all these brain  
3 problems, but it just doesn't make sense so I don't  
4 understand it at all. It makes no sense.

5                   But I had one other thing to say,  
6 we -- you made the perfect point. We're in a town  
7 where -- this is a nuclear town. You're not going  
8 to find a lot of people in opposition to expanding  
9 a nuclear plant in a nuclear town. If you maybe  
10 had this -- this hearing in -- somewhere in --  
11 maybe in the middle of -- I don't know, Toronto,  
12 you may not have had a lot of people coming in here  
13 saying, hey, I'm in favour of expanding a nuclear  
14 facility. I'm just saying, pick your demographics.  
15 You might find it in a different way. It's all in  
16 how you look at it, you know. It's -- if you bite  
17 the hand that feeds you, you know, it's not very  
18 smart, I'm just saying.

19                   CHAIRPERSON GRAHAM: Well, thank  
20 you for your observations. We've had in excess of  
21 200 -- I think yours is number 210 -- 210  
22 interventions.

23                   And I can assure you they haven't  
24 all been in favour of nuclear power. There's been  
25 a considerable amount, and we appreciate those the

1 same as we appreciate everybody's view, because we  
2 take everybody at -- at the sincerity in which they  
3 come forward.

4                               You've come a long way tonight,  
5 and we appreciate the fact that you have come to  
6 express what you believe is your views and the  
7 views of many of your neighbours.

8                               With that now the process goes, I  
9 go OPG. Do you have any questions/comments?

10                              MR. SWEETNAM: Albert Sweetnam,  
11 for the record, we have no questions, but I'll ask  
12 Donna Pawlowski to make a quick comment.

13                              MS. PAWLOWSKI: Donna Pawlowski,  
14 for the record.

15                              I would just like to note that in  
16 the consultation program that we put in place we  
17 also -- not only did we start very early in the  
18 process, back in 2006, and ensure that we had  
19 regular updates, at least bi-annually if not  
20 quarterly, an extensive mailing list, regular  
21 updates to committees, councils, all of the people  
22 that were -- expressed an interest in the project.

23                              We also sought comment throughout  
24 the regional study area, which extended as far east  
25 as Cobourg, as far west as the city of Toronto, and

1 up to Markham in the northeast and Peterborough and  
2 Lindsay in the north -- sorry, Markham in the  
3 northwest and Peterborough and Lindsay in the  
4 northeast.

5                               So we did go far and beyond the  
6 host community to ensure that people were aware of  
7 the project, had the ability to input into the EA  
8 study and raise any issues or concerns.

9                               CHAIRPERSON GRAHAM: Thank you for  
10 that.

11                              CNSC, there was a question with  
12 regard to scientific risk assessment by the Chief  
13 Medical Health Officer of Ontario. I'm not sure  
14 whether you want to clarify that. I'm not aware of  
15 that and I wonder if you want to clarify that, and  
16 also do you have any other comments?

17                              DR. THOMPSON: Patsy Thompson, for  
18 the record. We have no questions for the  
19 intervenor.

20                              In terms of the work of the  
21 medical officers of health, I have no comment on  
22 what might have been done in relation to the steam  
23 generator project.

24                              CHAIRPERSON GRAHAM: No, I'm  
25 referring to this project.

1 DR. THOMPSON: For this project,  
2 the information that we have is the studies that  
3 have been done by the Durham Region Medical Officer  
4 of Health, and those studies have been discussed  
5 quite extensively over the last two or three weeks,  
6 and the work will likely continue moving forward in  
7 collaboration with the regional authorities.

8 CHAIRPERSON GRAHAM: Thank you.

9 Federal government employees -- or  
10 federal government agencies; I'm not if Mr.  
11 Leonardeli is still on. Are you there, Mr.  
12 Leonardeli? Okay, he's not. So I take it that  
13 there are no interventions from governments.

14 Our information coming back and  
15 forth here for Blackberry is not telling us that  
16 there's any intervenors, but I see Mr. Kalevar is  
17 walking back and forth, so I presume he'll have a  
18 question. Is that correct, Julie? Okay. Mr.  
19 Kalevar, the floor is yours.

20 And just before I do, I've got to  
21 remind you, you have to obey the rules, and the  
22 rules do not qualify people to be clapping when  
23 other people are intervening. And you know that,  
24 and I haven't said anything before but you've done  
25 it on at least six occasions in the last three

1 days, and that is not the rules of this procedure  
2 and we want the rules to be obeyed. We respect  
3 every question you give, and we ask that the Chair  
4 be respected also.

5 Mr. Kalevar.

6 --- QUESTIONS BY THE PUBLIC:

7 MR. KALEVAR: Thank you, Mr. Chair  
8 once again. Chait Kalevar for just one more.

9 Through you, I want to bring it to  
10 the intervenor that in Toronto we have considerable  
11 effort being spent to bring the G20 protest and the  
12 civil liberties issue to the fore.

13 So maybe she's isolated out there  
14 in Owen Sound. She might want to get in touch with  
15 Canadian Civil Liberties Association.

16 I just thought since she's the  
17 first one to come with that experience and she's  
18 outside of Toronto, I thought I should bring it to  
19 your attention.

20 CHAIRPERSON GRAHAM: Thank you. I  
21 didn't think that was a question. I took it as a  
22 suggestion.

23 And with that I thank you, Ms.  
24 Skelly, for coming tonight. I thank you for coming  
25 a long distance and providing us with your overview

1 as it pertains to this facility and the way you  
2 feel towards getting information out to the general  
3 public. Thank you very much and have a good, safe  
4 trip back.

5                   The next intervenor tonight is  
6 Stephen Cornwall -- Cornwell, I should say, and  
7 that is the last one of the evening. It's under  
8 PMD 11-P1.235.

9                   Mr. Cornwell, if you would like to  
10 come forward and give us your presentation, we'd be  
11 very glad to hear it.

12                   There's a computer left up here, I  
13 don't know whose that is, so -- it's ours, okay.

14                   So you're all set. We'll give you  
15 time to get ready and make your presentation. I  
16 think there should be a clean bottle of water and a  
17 clean glass there somewhere also.

18 --- PRESENTATION BY MR. CORNWELL:

19                   MR. CORNWELL: Thank you, Mr.  
20 Chair, for the opportunity to speak. My name is  
21 Steve Cornwell, for the record. I'm an intervenor  
22 in these proceedings and I'm going to speak tonight  
23 about why OPG's -- or why the proposed project  
24 should not go ahead, past the assessment and --  
25 past the assessment phase.

1                   The Joint Review Panel should not  
2 recommend the licensing of new reactors at the  
3 Darlington site for at least two reasons.

4                   One, project information as  
5 provided by OPG violates the basic principles of  
6 the *Sustainable Development Act* of 2008, a major  
7 preamble of the *Canadian Environmental Assessment*  
8 *Act*.

9                   And, two, because the public  
10 participation process has been discredited due to  
11 noncompliance with the *Canadian Environmental*  
12 *Assessment Act* during these proceedings.

13                   As you are aware, sustainable  
14 development is defined in the development -- or  
15 *Sustainable Development Act*, I should say -- as:

16                                 "Development that meets the  
17                                 needs of the present without  
18                                 compromising the ability of  
19                                 future generations to meet  
20                                 their needs."

21                   As you're also aware, this  
22 definition of sustainable development is listed as  
23 a guiding principle in the guidelines for the  
24 environmental impact statement of this project.

25                   The onus is thus on Ontario Power

1 Generation to demonstrate that the project will use  
2 natural, social and economic resources in an  
3 ecologically efficient manner that meets the needs  
4 of present and future generations.

5                   And yet, OPG's work to prove that  
6 the project complies with the legally entrenched  
7 definition of sustainable development is clearly  
8 not adequate in terms of the long-term storage of  
9 waste.

10                   To date, OPG has deflected the  
11 question of how to effectively store waste positing  
12 that long-term waste storage is the responsibility  
13 of the industry-run Nuclear Waste Management  
14 Organization.

15                   However, the NWMO acknowledges in  
16 choosing a way forward that there's uncertainty  
17 regarding how storage systems will perform over the  
18 thousands, though many say millions, of years  
19 needed for waste to no longer be dangerous to  
20 humans, non-human, water and the environment.

21                   Moreover, whatever small and  
22 uncertain amounts of analysis that have been  
23 performed on nuclear waste storage has only  
24 accounted for the waste of one of the four  
25 potential reactors being proposed.



1 potential reactors in the process has led to  
2 unspecific overviews of the site layouts and  
3 reactor designs. And because three or perhaps four  
4 reactors of the CANDU 6 is indeed allowed into the  
5 process have been proposed, working in concert with  
6 the finite resources of the intervening groups.  
7 Meaningful public participation has been placed at  
8 risk.

9                               That is to say if the intervening  
10 groups do not know which reactor is going to be  
11 used, then it is quite difficult to offer  
12 additional information in the process.

13                              Moreover, that the CANDU 6 was  
14 introduced as a potential reactor in the project  
15 only weeks before the announcement of the EA  
16 deadline violates the requirements of the  
17 involvement -- of the early involvement, I should  
18 say, for intervening groups.

19                              This is particularly troubling  
20 since using the CANDU 6 reactor, which has  
21 significantly different design implications in the  
22 three other reactors. Also, since the CANDU 6  
23 produces less power than the other -- the three  
24 other designs, it has implications on the need for  
25 the project.

1                   These implications, and there are  
2 many more, require time to research in accordance  
3 with the principles of *Canadian Environmental*  
4 *Assessment Act*.

5                   Again, since this EA is not fully  
6 complied with the principles of the Canadian  
7 Environmental Assessment Act, the panel should not  
8 recommend that this project goes any further.  
9 Thank you.

10                   CHAIRPERSON GRAHAM: Thank you  
11 very much for your presentation. We'll now go to  
12 questions from panel members. Mr. Pereira?

13                   --- QUESTIONS BY THE PANEL:

14                   MEMBER PEREIRA: Thank you, Mr.  
15 Chairman? Yes, I understand the issues you raise.  
16 One of them is a concern about opportunity for the  
17 public and intervenors to fully assess the scope of  
18 the project because of the use of multiple reactor  
19 choices, which are not identified which choices are  
20 their preferred once and their late inclusion of  
21 the CANDU 6 design.

22                   And I think as I explained to an  
23 earlier intervenor, the approach adopted was to  
24 define a plant parameter envelope and not to  
25 identify particular reactor design. And the

1 environmental assessment and the impact statement  
2 provided by Ontario Power Generation was intended  
3 to examine the environmental impact of -- of  
4 technology that will be within that envelope of  
5 parameters.

6                                   And so any reactor that fits  
7 within that envelope would be covered by the  
8 assessment and that is what Ontario Power  
9 Generation explained a short while ago in response  
10 to a previous intervention, so I think I believe a  
11 number of intervenors have raised this question and  
12 we, the panel, have indicated that what we have  
13 been looking at is the environmental impact of a  
14 facility that is represented by a parameter  
15 envelope.

16                                   So the environmental impact of the  
17 accident analysis that -- a response to that  
18 envelope. The releases from a technology within  
19 that envelope rather than a specific design and  
20 that -- Ontario Power Generation's desire is that  
21 to leave the option of selecting a technology to a  
22 later stage. And the -- the requirement that  
23 applies to them is that they would -- whatever they  
24 select would comply with that envelope.

25                                   So in that sense I think it has

1 been made clear from the guidelines and from the  
2 various communications that have gone back and  
3 forth is that that is what intervenors responding  
4 to and what we are responding to, an environmental  
5 assessment that -- that flows from a parameter  
6 envelope as opposed to a specific design.

7 I would like to invite Ontario  
8 Power Generation to expand on that again, and you  
9 did it a while ago, but for the benefit of this  
10 intervenor, could you go through that again as to  
11 what your intentions are with respect to the  
12 Environmental Impact Statement that you've  
13 provided?

14 MR. PETERS: John Peters for the  
15 record. The plant parameter envelope provides that  
16 framework for the assessment, which is what Mr.  
17 Pereira has indicated. And from our perspective,  
18 the plant parameter envelope is a -- is a bounding  
19 envelope for which we are committed to -- to  
20 adhering to and we have specifically said when we  
21 actually have a reactor technology selected by the  
22 province, and OPG has an ability to go forward and  
23 undertake the detailed design, we will come back to  
24 the Canadian Nuclear Safety Commission and  
25 demonstrate that the actual reactor as specifically

1 designed for our project site will comply and be  
2 bounded within the plant parameter envelope.

3 And so that will come as  
4 appropriate through the various licensing stages as  
5 soon as we can. And I think that is very clear  
6 from the -- from everything that we've said on the  
7 record.

8 MEMBER PEREIRA: Thank you for  
9 that confirmation of your -- the course of action  
10 you plan to take.

11 With respect to sustainable  
12 development, we hear the point you make. Many  
13 other intervenors have made the same point and this  
14 is an issue that we, the panel, will be considering  
15 and addressing as we move forward in our review and  
16 in drafting a report. Thank you, Mr. Chairman.

17 CHAIRPERSON GRAHAM: Thank you,  
18 Mr. Pereira. Madam Beaudet?

19 MEMBER BEAUDET: I would like to  
20 come back to what you underlined that because the  
21 AC6 was added further, you consider that there is  
22 no meaning for public participation.

23 I would like to understand a bit  
24 more because is it in terms of not enough time?  
25 Because this was added in August and then

1 the -- the letter is showing that we had enough  
2 information to go ahead with public hearing was  
3 issued in December, so the public would have had  
4 several months to look at what was submitted or is  
5 it because you didn't -- you didn't have any money  
6 left?

7 I would like to understand a bit  
8 more from -- I know other people have brought this  
9 issue up, but maybe you can explain why you -- why  
10 you say that there is no meaning for public  
11 participation when you have several months to  
12 comment on this?

13 MR. CORNWELL: Thank you. Steve  
14 Cornwell for the record. As I understand it,  
15 intervenors were given a lump sum of \$150,000 if  
16 I'm correct on that?

17 CHAIRPERSON GRAHAM: That was done  
18 through CEAA and I'm not sure how much it was. I  
19 don't have it right here with me. There was a  
20 figure and you could be -- you could very well be  
21 right, but I'm not sure.

22 MR. CORNWELL: My understanding is  
23 that money was distributed at -- towards the end of  
24 2009 and with that money, considering that this  
25 process was supposed to be six months long without

1 delays, the intervenors were understandably moving  
2 quickly to get consultants in line to work on the  
3 specific issues that were outlined at the beginning  
4 of -- at the beginning of the EA, you know the  
5 information that we had at the time.

6                   Now, when the reactor design, the  
7 CANDU 6 was introduced in August, many of the  
8 intervenors had -- the intervening groups, I should  
9 say, had already spent the majority of that money,  
10 so there was no opportunity for meaningful  
11 consultancy in it, as well as the -- as well as the  
12 fact that I believe up until -- I mean it wasn't  
13 clear to me up until a few weeks ago that the CANDU  
14 6 was even fully being as addressed and assessed in  
15 these hearings.

16                   And there is some confusion as to  
17 whether or not it would be included in this and I  
18 think that's a problem fundamentally with the  
19 transparency and just how the information was  
20 delivered.

21                   MEMBER BEAUDET: It could be how  
22 the information was delivered, we don't know, but  
23 the thing is it was made quite clear, I would say,  
24 you know, beginning of September. We did get an  
25 update of the plant parameter envelope and all the

1 details from OPG and that was on the Registry  
2 several months before we decided to go ahead with a  
3 public hearing.

4 MR. CORNWELL: Oh?

5 MEMBER BEAUDET: Anyway thank you  
6 for your testimony. I understand a bit more now.  
7 Thank you.

8 CHAIRPERSON GRAHAM: Thank you,  
9 Madam Beaudet. OPG do you have any questions?

10 MR. SWEETNAM: Albert Sweetnam for  
11 the record. No questions, but just a quick  
12 comment, if I may?

13 CHAIRPERSON GRAHAM: Yes.

14 MR. SWEETNAM: The intervenor has  
15 indicated that OPG's proposal does not comply with  
16 the *Sustainable -- the Sustainable Development Act*  
17 and therefore it's susceptible to legal challenges  
18 now and at different stages of operation.

19 I would just like to clarify that  
20 the purpose of the *Federal Sustainability*  
21 *Development Act 2008* is to provide a legal  
22 framework for developing and implementing a federal  
23 sustainable development strategy.

24 It's only binding on the Federal  
25 Government, and it does not apply to OPG.

1                   And the new nuclear project at  
2 Darlington proposal could not legally be out of  
3 compliance.

4                   The EIS guidelines require the  
5 proponent to consider the extent to which the  
6 project contributes the sustainable development and  
7 specifically to consider effects on biological  
8 diversity and capacity of renewable resources and  
9 to be available to meet future needs.

10                  OPG's developed a framework to  
11 assess the sustainability of the project that was  
12 grounded in the shared values of the communities  
13 within which we will be operating.

14                  The results show that the project  
15 will enhance the sustainability from both a social  
16 and economic perspective and maintain it from an  
17 ecological perspective.

18                  Thank you.

19                  CHAIRPERSON GRAHAM: Thank you.

20                  CNSC, do you have any comments or  
21 questions?

22                  DR. THOMPSON: Patsy Thompson for  
23 the record.

24                  No questions.

25                  But I would have a clarification

1 on the PMD235, the -- on the fifth paragraph, the  
2 Nuclear Waste Management Organization is identified  
3 as the regulator.

4 I just want to clarify that any  
5 project for used fuel disposal that NWMO would come  
6 forward with, they would either be the proponent or  
7 the licensee.

8 The Canadian Nuclear Safety  
9 Commission would be the regulator.

10 CHAIRPERSON GRAHAM: Thank you.

11 Government agencies or  
12 participants?

13 If not, intervenors? Julie,  
14 anybody?

15 You're shaking your head.

16 Mr. Cornwell, we're going to let  
17 you have the last comment, if you have any.

18 MR. CORNWELL: No, not -- not  
19 tonight.

20 I just thank you for the  
21 opportunity to speak, and, yeah, good luck with  
22 making your decision as the last information comes  
23 through on Friday.

24 CHAIRPERSON GRAHAM: Thank you.

25 We're not finished on Friday.

1 We're finished here, but there's still a lot of  
2 work to do.

3 As I said, sorry to take you off  
4 guard, but the rules don't permit intervenors to  
5 have the last word, but I have been doing it.  
6 That's why.

7 So, anyway, thank you very much,  
8 and I appreciate your intervention and as all of  
9 them will be carefully considered as we go forward,  
10 and it is going to take some time yet, but thank  
11 you very much for coming tonight and sharing your  
12 views.

13 With that, I thank everyone for  
14 today.

15 I understand that this probably  
16 the end of our agenda for today, so I want to thank  
17 everyone for coming and participating and  
18 especially CNSC and OPG for coming and giving some  
19 clarification with regard to undertaking 15.

20 And, again, I guess tomorrow is a  
21 morning off, afternoon and evening. So we will  
22 resume at 1:30 tomorrow afternoon.

23 Thank you very much, and we're  
24 adjourned for the day.

25 --- Upon recessing

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T I O N

I, Alain H. Bureau a certified court reporter in the Province of Ontario, hereby certify the foregoing pages to be an accurate transcription of my notes/records to the best of my skill and ability, and I so swear.

Je, Alain H. Bureau, un sténographe officiel dans la province de l'Ontario, certifie que les pages ci-hauts sont une transcription conforme de mes notes/enregistrements au meilleur de mes capacités, et je le jure.



Alain H. Bureau