

DARLINGTON NEW NUCLEAR POWER PLANT PROJECT

JOINT REVIEW PANEL

PROJET DE NOUVELLE CENTRALE NUCLÉAIRE DE DARLINGTON

LA COMMISSION D'EXAMEN CONJOINT

HEARING HELD AT

Hope Fellowship Church
Assembly Hall
1685 Bloor Street
Courtice, ON, L1E 2N1

Friday, April 8, 2011

Volume 17

JOINT REVIEW PANEL

Mr. Alan Graham
Ms. Jocelyne Beaudet
Mr. Ken Pereira

Panel Co-Managers

Ms. Debra Myles
Ms. Kelly McGee

Transcription Services By:

International Reporting Inc.
41-5450 Canotek Road
Ottawa, Ontario
K1J 9G2
www.irri.net
1-800-899-0006

(ii)

TABLE OF CONTENTS / TABLE DES MATIÈRES

	PAGE
Opening remarks	1
Undertaking Status	3
Presentation by North American Young Generation of Nuclear	15
Questions by the panel	28
Questions by the public	43
Presentation by Mr. Leahy	54
Questions by the panel	59
Presentation by Mr. Polany	65
Questions by the panel	74
Presentation by Mr. O'Toole	82
Questions by the panel	98
Presentation by Mr. Gibson	103
Questions by the panel	110
Presentation by Dr. Rutherford	117
Questions by the panel	124
Presentation by Mr. Donnelly	128
Questions by the panel	135
Presentation by Mr. Schreiner	145
Questions by the panel	158
Questions by the public	167
Presentation by Mr. Anderson	191
Questions by the panel	198
Presentation by Ms. McCrea	203

(iii)

TABLE OF CONTENTS / TABLE DES MATIÈRES

	PAGE
Questions by the panel	214
Written submissions and comments by the panel	219
Closing remarks	233

1 Courtice, Ontario

2

3 --- Upon commencing at 09:00 a.m.

4 --- OPENING REMARKS:

5 MS. MCGEE: Good morning everyone.

6 Mon nom est Kelly McGee. Welcome to day 17 of
7 public hearings of the Joint Review Panel for the
8 Darlington New Nuclear Power Plant project.

9 Je suis la co-gestionnaire de la
10 Commission d'examen conjointe du projet de nouvelle
11 centrale nucléaire de Darlington.

12 Secretariat staff are available at
13 the back of the room. Please speak with Julie
14 Bouchard if you are scheduled to make a
15 presentation at this session, if you are an
16 intervenor and want to put a question to another
17 presenter or if you were not previously registered
18 and would now like to make a brief statement.

19 Any request to address the panel
20 must be discussed with Panel Secretariat staff
21 first. Opportunities for either questions or a
22 brief statement at the end of the session will be
23 possible time permitting.

24 We have simultaneous translation;
25 headsets are available at the back of the room.

1 English is on channel 1. La version française est
2 au poste 2. The written transcripts of these
3 proceedings will reflect the language of the
4 speaker.

5 Please identify yourself each time
6 you speak to help us make the transcripts as
7 accurate as possible.

8 Written transcripts are stored on
9 the Canadian Environmental Assessment Agency
10 website. The live webcast can be accessed through
11 a link on the Canadian Nuclear Safety Commission
12 website and the archived webcasts and audio files
13 will also be stored on the CNSC website.

14 As a courtesy to others in the
15 room, please silence your cell phones and any other
16 electronic devices. Thank you.

17 CHAIRPERSON GRAHAM: Thank you
18 very much, Kelly, and good morning everyone.
19 Welcome again to everyone joining us in person, on
20 the live audio link or on the internet. My name is
21 Alan Graham and I am the Chair of the Joint Review
22 Panel. And on my right, other panel members, are
23 Madam Jocelyne Beaudet and on my left Mr. Ken
24 Pereira.

25 This morning we will start off the

1 morning as we have been recently, reviewing the
2 undertakings that are due today and I would ask
3 that this is probably or hopefully the last day of
4 this series of hearings that any outstanding
5 undertakings be dealt with as promptly as possible
6 so that the panel may get on with reviewing them
7 and working towards the next stage. So, Mr.
8 Saumure, would you be so kind as to review the
9 undertakings that are due today and perhaps maybe
10 an overview of the outstanding ones.

11 --- UNDERTAKING STATUS:

12 MR. SAUMURE: Thank you, Mr.
13 Graham. I will start with undertaking number 16,
14 which was assigned both to EC and CNSC and it was
15 to provide a comparative analysis of hot and cold
16 plume releases which are representative of nuclear
17 accidents. CNSC?

18 MR. HOWDEN: Barclay Howden for
19 the record. With the Chair's permission, we would
20 like to deal with this undertaking right after
21 lunch. We are just finalizing it and we will be
22 prepared to speak to it and submit our written
23 submission and we will be working with Environment
24 Canada on that.

25 CHAIRPERSON GRAHAM: Yes, that's

1 agreeable. We'll put you on for after lunch in
2 view of the fact that we have been running quite
3 long hours and give you time to get a presentation
4 ready this morning for this afternoon. So you'll
5 be the first item on the agenda this afternoon.
6 Mr. Saumure?

7 MR. SAUMURE: Thank you, Mr.
8 Graham. I will now move to undertaking number 59
9 which was originally assigned to Health Canada and
10 CNSC has taken the lead. It was to provide
11 information in co-ordination with Health Canada and
12 Public Health Agency. It was dealt with yesterday.
13 CNSC said they obtained the information, but they
14 would like to speak to it this morning.

15 DR. THOMPSON: Patsy Thompson for
16 the record. Undertaking 59 will be filed with the
17 Secretariat this morning. It has been prepared in
18 collaboration with Health Canada and the Public
19 Health Agency of Canada. What I wanted to add was
20 that there are maps that have been prepared by the
21 Public Health Agency of Canada providing incidence
22 rates of childhood leukemia by province, between
23 2003 and 2007.

24 These maps will be integrated into
25 undertaking 59 in a couple of weeks because there

1 is a requirement to get approval from each of the
2 Provinces to make this information public. And the
3 Public Health Agency of Canada staff are working
4 with the individual provinces and territories to
5 get permission to include this information in the
6 undertaking. So as soon as we have the approvals,
7 we will update the undertaking probably in about
8 two weeks.

9 MR. SAUMURE: Thank you.

10 Undertaking Number 63 which was
11 assigned to Environment Canada and it was to
12 provide analysis on the sufficiency of OPG's air
13 emissions assessment.

14 Environment Canada?

15 MR. LEONARDELLI: Sondro
16 Leonardelli, for the record.

17 We anticipate that will be
18 submitted by noon today.

19 MR. SAUMURE: Thank you.

20 I will now move to Undertaking
21 Number 68 which was assigned to CNSC and it's to
22 provide S99 annual incident reporting data,
23 including number and types of incidents reported.

24 MR. HOWDEN: Barclay Howden
25 speaking.

1 That information will be submitted
2 to the Secretariat this afternoon.

3 MR. SAUMURE: Thank you.

4 Undertaking Number 70 which was
5 assigned to DFO which was to provide historical
6 fish population and habitat data for Lake Ontario.

7 It was due today; it was
8 completed. We received the documents and they are
9 posted on the registry; they're Number 897.

10 Undertaking Number 71, assigned to
11 Health Canada, which was to provide national dose
12 registry data including discussion of risk
13 associated with dose.

14 Is anybody from Health Canada
15 available in the room? We will follow up, Mr.
16 Graham.

17 Number 72, it was an undertaking
18 assigned to CNSC to provide a proposal or
19 information to be used to develop a proposal for a
20 robust health study of Canadian nuclear facilities.

21 CNSC?

22 DR. THOMPSON: Patsy Thompson, for
23 the record.

24 We have had internal discussions
25 and consultation on this matter and I will read

1 into the record the results of those internal
2 discussions.

3 The CNSC staff have listened to
4 concerns expressed by some members of the public
5 and non-government organizations about adverse
6 health effects in communities living around nuclear
7 power plants.

8 We have considered the evidence
9 presented during this hearing to support the claim
10 that people living around nuclear power plants are
11 at risk of developing cancer, leukemia or other
12 diseases.

13 CNSC staff concludes that there is
14 no evidence in the studies quoted, for example, the
15 KIKK and some Canadian studies conducted in
16 Ontario, relating disease incidents with radiation
17 exposures.

18 Internationally, there has been
19 extensive evidence that ionizing radiation causes
20 cancer, from studies of many large populations that
21 have been followed up over time. For example, the
22 studies related to the atomic bomb survivors,
23 Chernobyl and many studies of patients undergoing
24 various radiotherapy or x-rays.

25 There have been well over 100

1 epidemiological studies of patient populations
2 linking radiation to cancer. A wealth of knowledge
3 of the carcinogenic effects also has been derived
4 from experimental studies of animals and cell
5 culture.

6 Many human cancers have been
7 linked to the carcinogenic effects of radiation,
8 however, the important questions are not whether
9 ionizing radiation causes cancer, but how much
10 cancer is caused by radiation.

11 Early studies suggesting residents
12 near nuclear installations and pre-conception
13 radiation and childhood leukemia are the subject of
14 substantial international investigations because of
15 the concern they had raised.

16 These include extensive analysis
17 by the COMAR, which is the Committee on Medical
18 Aspects of Radiation Exposure in the United
19 Kingdom, studies by UNSCEAR, Dolezal in 1994,
20 Wakeford in 2003 and Laurier and Holt in 2008.

21 There had been many
22 epidemiological studies of people living near
23 nuclear power plants that are unable to prove any
24 evidence that population rates of cancer or birth
25 abnormalities have been associated with the

1 emissions from the nuclear power plants.

2 Similarly, many studies, such as
3 case-control studies of offspring in workers with
4 pre-conception exposures to ionizing radiation,
5 have found no link. This is all very clearly
6 documented in the scientific literature.

7 A recent case-control study of
8 childhood leukemia, the KIKK study, near nuclear
9 power plants in Germany, although found a
10 relationship with distance from nuclear power
11 plants and leukemia, still were unable to provide
12 any evidence that this increased risk was related
13 to radiation exposure from the plants.

14 Similar studies conducted around
15 26 French nuclear power plants and a study
16 conducted in Britain, have not found the same
17 findings as the KIKK study. Even the authors of
18 the KIKK study are aware of the limitations of
19 their findings and have concluded that radiation
20 exposure cannot be a factor.

21 Turning to Canada. In Canada,
22 there have been several studies of people living
23 around nuclear power plants and studies of
24 offspring of workers with pre-conception exposure.

25 These studies do not provide any

1 reason for concern. Overall population rates are
2 similar to that of the general population and
3 studies of workers provide no link with their
4 occupational exposure and childhood leukemia and
5 birth abnormalities in their offspring.

6 Canada has done extensive studies
7 of workers. These studies are cohort studies which
8 have detailed information on worker exposures, can
9 control for risk factors related to cancer, and can
10 follow workers over time. These studies link
11 worker exposure to mortality. Studies of nuclear
12 power plant workers provide no evidence that their
13 occupational exposures are related to cancer
14 mortality, largely because occupational exposures
15 are so low.

16 In Undertaking 62 that CNSC staff
17 filed earlier this week, presents the results of
18 the recent analysis where worker mean total doses
19 in workers from 1957 to 1994 were 21.4
20 milliSieverts.

21 The study concluded that workers
22 had no increased risk of mortality from cellular
23 cancer, from leukemia and from other causes of
24 death, from their radiation exposures. This is
25 consistent with other studies of nuclear power

1 plant workers found elsewhere in the world.

2 In fact, occupational doses are so
3 low that countries such as Canada, the U.S. and the
4 U.K. are starting to conduct international
5 collaborative studies combining workers from
6 several countries in order to have the sufficient
7 statistical power to detect health effects at the
8 very low occupational doses that workers are now
9 exposed to. Individual country studies do not have
10 sufficient numbers of workers because of the low
11 levels of exposure to detect meaningful information
12 because occupational doses are so low.

13 The average dose of a nuclear
14 power plant worker in Canada is a few milliSieverts
15 per year. In fact, their lifetime exposure for
16 most nuclear power plants is far less than the
17 radiation exposure they would receive from natural
18 background radiation.

19 Likewise, extensive monitoring of
20 radiation emissions around nuclear power plants
21 indicates that nuclear power plant exposures to
22 Canadian members of the public are approximately a
23 few microSieverts. This is generally more than 100
24 times below the public dose limit.

25 Epidemiological studies have not

1 found such low radiation exposures to cause cancer.
2 The greatest population exposure to ionizing
3 radiation comes from natural background sources
4 which in Canada is about 2.4 milliSieverts per
5 year. Epidemiological studies have been unable to
6 find observed health effects of cancer in
7 populations below approximately 100 milliSieverts.

8 This exposure is far greater than
9 any exposure any person living near a nuclear power
10 plant is likely to receive during routine
11 operations. Extrapolating down to zero doses using
12 the linear no-threshold relationship should be
13 interpreted with caution, given the substantial
14 uncertainties in applying risks from high-dose
15 studies to low-dose rate situations.

16 As described in Undertaking 59,
17 which will be filed this morning, Canada has a
18 high-quality public health system; risk factors for
19 cancer are well understood.

20 The main reason for the increases
21 in cancer in Canada is a growing and aging
22 population. The main risk factors are age,
23 tobacco, diet, are responsible for over half of all
24 cancer deaths in Canada. Radiation from nuclear
25 power plants contributes less than 1 percent of the

1 overall radiation exposure of Canadians.

2 The very low doses resulting from
3 the operation of the existing Darlington plant or
4 the proposed Darlington new build, do not justify
5 conducting health studies in the community as the
6 risks are too low to be observable or measurable.

7 CHAIRPERSON GRAHAM: Thank you
8 very much, Dr. Thompson.

9 I know you have some more. I just
10 want to say that your comments will be reviewed by
11 the panel. We may have questions at a later date,
12 but right now, thank you very much for that
13 presentation. Mr. Saumure.

14 MR. SAUMURE: Thank you, Mr.
15 Graham. I will now move to Undertaking No. 77,
16 which was assigned to CNSC, and it was to review
17 IAEA nuclear incident data, including the
18 percentage of incidents attributed to human error.
19 CNSC.

20 MR. HOWDEN: Barclay Howden
21 speaking. We've obtained the information that
22 comes from the incident reporting system database
23 of the IAEA, and we will need until about April 13th
24 to be able to assess it to provide the information.
25 Thank you.

1 CHAIRPERSON GRAHAM: Yes,
2 satisfactory. The only thing is, we'd like to get
3 them all in as quickly as possible, so if you could
4 get it in -- get them in earlier we'd appreciate it
5 because we want to have -- keep the flow going
6 well, and it would be nice to have these cleaned up
7 before that. I note there are a couple of
8 outstanding from Green Peace, and we're working to
9 get those and so on, so if you could do it before
10 April 13th, it would be appreciated.

11 MR. HOWDEN: Barclay Howden
12 speaking. Staff are working on it now, and the
13 intention is to meet the date or come in earlier.
14 Thank you.

15 MR. SAUMURE: Thank you. I would
16 now like to turn to a request that was made last
17 night. I was following a request presented by Ms.
18 Brennain Lloyd of North Watch, that the panel be
19 provided with a copy of the BEIR 7 study. It was
20 decided that a summary of the study will be posted
21 on the registry, and a copy of the study will be
22 provided to the panel, subject to the applicable
23 copyright restrictions.

24 That's all for the undertakings,
25 Mr. Graham, this morning.

1 CHAIRPERSON GRAHAM: Thank you
2 very much, Mr. Saumure, for that. Now, we'll go to
3 the regular business of the day, which starts off
4 with our very first intervention this morning,
5 which is a scheduled presentation by North American
6 Young Generation of Nuclear. And that is found in
7 PMD 11-P1.196 and PMD 11-P1.196A, which covers the
8 overheads. And Mr. Peck, I believe you're the one
9 -- the lead in this, this morning. Welcome. And
10 if you would identify yourself each time you speak
11 and introduce your team, it would be much
12 appreciated. Welcome this morning.

13 --- PRESENTATION BY NORTH AMERICAN YOUNG GENERATION
14 OF NUCLEAR:

15 MS. LAGAN: Sineaid Lagan, for the
16 record. Thank you, Mr. Graham and members of the
17 Joint Review Panel, Environmental Assessment
18 Committee. My name is Sineaid Lagan, I am a
19 licensed professional engineer with the province of
20 Ontario, and hold a Masters of Applied Science
21 degree in environmental engineering. My family and
22 I reside in the Durham Region, and I am currently
23 employed at Ontario Power Generation. I am here
24 today to speak in my capacity as president of North
25 American Young Generation Nuclear, Durham Chapter.

1 I am accompanied here today by
2 presenters Shehab Mustafa, chapter vice president;
3 Brian Peck, chapter public relations chair; Lianne
4 Lees; past chapter, vice president; Lauren Corkum,
5 and Arin Gharakhanian, both engaged chapter
6 members.

7 The majority of us live in the
8 Durham Region, and we are all employed by Ontario
9 Power Generation, however, we are speaking to you
10 today on behalf of the North American Young
11 Generation in Nuclear, or NAYGN, Durham Chapter.

12 NAYGN is an organization, which
13 unites young professionals who believe in nuclear
14 science and technology and are working together
15 throughout North America to share this passion.
16 There are currently 91 chapters throughout Canada,
17 the USA and Mexico. We are a vibrant group of
18 members with either less than ten years of
19 experience in the nuclear industry, or are under
20 the age of 35. The NAYGN, Durham Chapter, strives
21 to provide a balance of professional development,
22 networking and community outreach events to our
23 members.

24 NAYGN Durham members in the past
25 have participated in public hearings for nuclear

1 plant licence renewals, refurbishments, and now the
2 new nuclear project. This provides NAYGN Durham
3 members the opportunity to present their
4 perspective on decisions which ultimately impact
5 their future professional development, and play an
6 active role in the discussion about nuclear power
7 in Canada.

8 Representatives of the NAYGN
9 Durham Chapter membership will now be speaking to
10 you about our strong support for the Darlington New
11 Nuclear Project based on current environmental
12 performance, strong safety culture, community
13 involvement, and the future opportunities of
14 nuclear power in this area.

15 MS. LEES: For the record, my name
16 is Lianne Lees. I'm a Bachelor of Applied Science
17 graduate from Ryerson Polytechnic University; hold
18 my Canadian Registered Safety Professional
19 designation, and am a 2010 Canadian fellow to the
20 World Nuclear University Summer Institute of
21 Oxford. I'm a founding member and past vice
22 president of the NAYGN, Durham Chapter. I've been
23 employed by OPG since September 2005. I'm
24 currently a front-line manager in the maintenance
25 department with a crew of between ten and 20 full-

1 time and contract staff. I live in Whitby with my
2 husband and two school-age children.

3 Today I'll focus on the
4 environment from our perspective as representatives
5 for the young generation of nuclear professionals.
6 Nuclear power provides clean, reliable, carbon-free
7 energy to the province of Ontario. The Ontario
8 government is committed to phase out coal by 2014,
9 thereby reducing greenhouse gas emissions. The
10 Ontario Energy Plan calls for 50 percent of
11 Ontario's electricity to be generated by nuclear
12 power. To achieve this, new investment in nuclear
13 power is needed.

14 I would like to highlight to the
15 Commission that in 2010 OPG Nuclear performance
16 metrics of environment were better than target.
17 Environmental emissions remain well below
18 regulatory limits and are maintained by an
19 environmental management program audited to ISO
20 14,001.

21 In addition OPG Nuclear
22 communicates a strong environmental policy in
23 supporting governance that respects legal
24 requirements, supports environmental stewardship
25 and engages not only OPG employees, but extends to

1 community involvement.

2 The Nuclear Waste Management
3 Organization, NWMO, will announce a host community
4 for a deep geological repository for Canadian used
5 nuclear fuel. In the meantime, the nuclear
6 industry is safely storing used fuel onsite.

7 Low and intermediate level waste
8 is being safely managed, and OPG is continuously
9 striving to minimize the amount of waste generated.
10 The NAYGN Durham Chapter enthusiastically supports
11 the Darlington New Nuclear Power Plant Project, and
12 full confidence that OPG will continue to meet its
13 internal and external environmental and
14 sustainability targets.

15 MS. CORKUM: For the record, my
16 name is Lauren Corkum. I'm a Masters in nuclear
17 engineering candidate from McMaster University.
18 I'm here to present NAYGN Durham's position on
19 safety in the nuclear industry.

20 NAYGN Durham is supportive of the
21 Darlington New Nuclear Project because we see the
22 Canadian nuclear industry as one of the safest
23 industries in Canada. As a young nuclear
24 professional I am proud to work in an industry
25 which holds safety as an overriding priority.

1 The nuclear industry is unique in
2 that we're always sharing information with other
3 nuclear power plants. We continuously learn from
4 operational experience at other stations, and we
5 participate in frequent peer reviews. We do this
6 because it is in our best interest for every
7 station in the world to operate safely.

8 From my experiences working in the
9 industry, I know that Ontario Power Generation has
10 continued to strive towards event-free operation,
11 and zero injuries in the workplace. Since nuclear
12 safety is our first priority, we adhere to
13 principles in nuclear safety in every job that's
14 performed, ensuring that defence in depth is
15 maintained. Everyone is personally responsible for
16 this.

17 And this strong safety culture
18 pays off. OPG was recently awarded the Platinum
19 Zero Quest Award from the Infrastructure Health and
20 Safety Association. This award is the highest
21 level of recognition a company can achieve in this
22 program, and recognizes OPG's efforts to sustain
23 and continuously improve their safety performance.

24 Also, in the 2009 CNSC staff
25 integrated safety assessment of Canadian nuclear

1 power plants, each licensed nuclear power plant in
2 Canada was given an integrated plant rating. This
3 is a general measure of each station's safety
4 performance. All seven plants were rated a
5 satisfactory or fully satisfactory in this area,
6 meeting or exceeding the industry average. Most
7 importantly, though, the steps we take every day
8 help us ensure the safety of our workers and all
9 the residents of Ontario. Because of this strong
10 safety record, NAYGN Durham fully supports the
11 Darlington New Nuclear Project.

12 MR. PECK: For the record, my name
13 is Brian Peck. I am the public relations chair for
14 NAYGN Durham Chapter. I'm also a Master's Nuclear
15 Engineering candidate from the University of
16 Western Ontario.

17 I currently work at Darlington
18 Nuclear Generating Station in project design and I
19 live only five kilometres from the plant. I feel
20 very safe living close to a large nuclear power
21 plant because of the strong safety culture that is
22 in place at OPG.

23 I'm going to spend a few minutes
24 discussing the positive effects of the proposed new
25 nuclear power plant on the community. This is an

1 extremely important portion of the environmental
2 assessment for this project.

3 The first impact is on the host
4 Municipality of Clarington. Clarington is a
5 willing host community, which is very important for
6 a project of this magnitude.

7 Around 32 percent of people
8 working at Darlington Nuclear live in the
9 Clarington area, plus many more in Durham region.
10 Having employees live close to where they work
11 provides a strong relationship between the
12 employees and the community.

13 This is demonstrated every year
14 through OPG's successful charity campaign. In
15 2009, OPG employees and pensioners contributed more
16 than \$2.1 million to over 1,500 registered
17 charities.

18 The local community has a long
19 history of involvement with the nuclear industry,
20 including activities such as the site preparation,
21 construction and operation of Darlington A.

22 In addition to the employment
23 opportunities that would become available during
24 the construction and operating phase of this
25 project, the new project would also create

1 opportunities for new community initiatives.

2 OPG also operates a nature
3 conservatory on the Darlington site. The
4 waterfront trails that pass through the Darlington
5 site are open for year-round hiking, biking and
6 nature-watching and provide a home to over 900
7 different species of wildlife.

8 OPG's Darlington Nuclear
9 Generating Station was selected from 146 sites
10 across North America to receive the corporate
11 habitat of the year award from the Wildlife Habitat
12 Council in 2008.

13 This award recognizes continuous
14 site improvement in wildlife habitat enhancement
15 and restoration and use of lands for teaching.

16 In fact, in the last 14 years
17 alone, OPG has won 9 awards in various categories
18 from the Wildlife Habitat Council, including the
19 prestigious William W. Howard CEO award from the
20 council in 2009.

21 The council recognizes that
22 employees at Darlington Nuclear realize the
23 importance of their ongoing commitment to
24 environmental stewardship with strengthening
25 community partnerships and habitat enhancement

1 projects coming to fruition.

2 Currently, Darlington runs an
3 outreach program for local children and their
4 parents called Tuesdays on the Trail, which has
5 various themes such as Bugs -- Boots and Bugs and
6 Come Fly a Kite. This program has been highly
7 successful, with regular attendance of 150 to 200
8 kids each week.

9 New nuclear at Darlington is
10 expected to provide significant benefits to the
11 community on the social and economic fronts. This
12 project will enhance education and employment
13 opportunities of the region and will provide
14 developmental opportunities for local businesses.

15 MR. GHARAKHANIAN: My name is Arin
16 Gharakhanian, for the record. I'm an engineer in
17 training with the PEO, registered with PEO, and I
18 hold a Master's Degree in Nuclear Engineering along
19 with a Bachelor of Applied Science in Electrical
20 Engineering.

21 I currently work at the Ontario
22 Power Generation in the training department, and I
23 will be speaking about the overall impact of the
24 expansion of the nuclear industry on job creation.

25 According to a report by the

1 Canadian Energy Research Institute titled,
2 "Economic Impact of the Nuclear Industry in
3 Canada", nuclear industry in Canada employs around
4 70,000 people in some 150 different firms, the
5 majority of which are located here in Ontario.

6 These numbers are likely to grow
7 as a result of upcoming nuclear refurbishment and
8 new-build activities in this province.

9 The nuclear industry spends
10 millions of dollars each year on internal training
11 of its employees and sponsors local colleges and
12 universities in order to ensure that current and
13 future employees receive state-of-the-art education
14 to meet the challenges of this industry.

15 Expansion of the nuclear industry
16 in Durham Region would create great career
17 opportunities, especially for the youth of this
18 region. Graduates would be able to find work
19 locally and are likely to stay within Durham Region
20 helping the community grow and prosper.

21 Given the large variety of career
22 choices within the nuclear industry, employees have
23 the option of moving into a career that they enjoy
24 as opposed to leaving the company they work for in
25 search of better opportunities. This helps with

1 effective knowledge retention and gaining employee
2 satisfaction within the industry.

3 Success of the nuclear industry in
4 Canada depends on innovative research and
5 technologies, support from federal and provincial
6 governments, local host communities, and the
7 public. The industry brings together a large number
8 of class disciplinary fields of knowledge.

9 Therefore, its expansion would not
10 only create jobs within the nuclear industry, but
11 it would also help in expansion of all the
12 industries that directly or indirectly support it.

13 This ensures that Canada stays
14 relevant on the international stage when it comes
15 to nuclear power plant technology.

16 MR. MUSTAFA: For the record, my
17 name is Shehab Mustafa. I'm a licensed
18 Professional Engineer with the Province of Ontario,
19 a Master's of Nuclear Engineering candidate from
20 McMaster University and a 2009 Canadian Fellow to
21 the World Nuclear University Summer Institute at
22 the University of Oxford.

23 My family and I reside in Durham
24 Region and I'm currently employed at Ontario Power
25 Generation's Pickering projects design department.

1 I'm here today to speak in my
2 capacity as a founding member and vice-president of
3 the Local NA-YGN, Durham Chapter.

4 To summarize NA-YGN Durham
5 Chapter's presentation today we, as nuclear energy
6 professionals, understand that it is an incredible
7 privilege to utilize our knowledge, experience and
8 professional ability to provide a service which
9 significantly improves the quality of life of our
10 families, friends, fellow residents of Durham
11 Region and the citizens of Ontario.

12 We understand the uniqueness of
13 nuclear power and the ability it has to provide a
14 safe, clean, reliable and sustainable supply of
15 electricity.

16 As nuclear energy professionals,
17 nuclear safety is always our overriding priority
18 and is a fundamental part of our nuclear safety
19 culture.

20 We recognize and appreciate that
21 the outcome of the Joint Review Panel's decision
22 has far-reaching implications for the professional
23 development of an entire new generation of nuclear
24 energy professionals affecting over 150 companies
25 in the Canadian nuclear industry and creating

1 several direct and indirect benefits to the host
2 community.

3 Therefore, we, NA-YGN Durham,
4 strongly support the Darlington new nuclear
5 project. We look forward to the decision of the
6 Joint Review Panel and thank the panel for the
7 opportunity to present today.

8 We welcome any questions you may
9 have about NA-YGN Durham's presentation at this
10 time.

11 Thank you.

12 CHAIRPERSON GRAHAM: Thank you
13 very much for that presentation and the overview
14 which you provided.

15 We will go now to questions from
16 the panel members and I'll go to Mr. Pereira first.

17 Mr. Pereira?

18 --- QUESTIONS BY THE PANEL:

19 MEMBER PEREIRA: Thank you, Mr.
20 Chairman. And thank you for your interesting
21 presentation.

22 In the remarks you delivered, you
23 spoke many times about the commitment to providing
24 a sustainable supply of energy. In our assessment,
25 the mandate that this panel has before it,

1 sustainable development is an important criteria
2 that we must examine.

3 And in this context, sustainable
4 development talks not only about sustainability in
5 the current era, but looking forward to future
6 generations and the legacy we leave to future
7 generations, and calls on society to undertake what
8 it does without leaving a legacy which is a burden
9 to future generations.

10 Do you have any comments on that
11 aspect with respect to the proposed project before
12 us? How that will -- can be positioned as
13 something which does not leave an undue burden for
14 future generations?

15 MS. LAGAN: Thank you for the
16 question. On behalf of North American Young
17 Generation Durham Chapter, I will ask Shehab
18 Mustafa to respond to your question.

19 MR. MUSTAFA: Shehab Mustafa, for
20 the record through the Chair.

21 Regarding the question of
22 sustainable development, the greatest challenge
23 confronting us in the 21st century is how do we as a
24 society address the global challenge of climate
25 change? How do we generate power in a clean cost-

1 effective, sustainable and reliable manner?

2 In this context, in this
3 challenge, nuclear power provides base load
4 generation 24/7 supply stability, low cost of fuel
5 of very high energy density and nuclear energy is
6 one of the great power sources of our society.

7 It does not produce any carbon
8 emissions and as such it addresses one of the most
9 serious challenges confronting our society today.

10 As such, we believe that nuclear
11 power should play a vital role in the base load
12 generation and the energy mix of our province today
13 and going forward, as outlined in the Ontario Long-
14 Term Energy Plan.

15 MEMBER PEREIRA: Thank you for
16 that response.

17 Do you have any comments on the
18 challenge of managing the waste produced from
19 nuclear generation?

20 MR. MUSTAFA: Shehab Mustafa, for
21 the record, through the Chair.

22 The management of nuclear waste
23 will be undertaken, and is being undertaken, by
24 the Nuclear Waste Management Organization.

25 Currently we manage our low and

1 intermediate level waste, as well as our used fuel
2 as per the management plan.

3 The adaptive phase management plan
4 which has been developed by the Nuclear Waste
5 Management Organization takes into consideration a
6 technical method, as well as a management system,
7 to ensure the equitable management of waste that's
8 produced currently and going forward.

9 So as such, we believe that there
10 are technical solutions available and the
11 management systems are in place to effectively,
12 safely, and viably manage and maintain the waste
13 that is produced from our power generation in the
14 province today.

15 MEMBER PEREIRA: Thank you.

16 I'll go on to a different topic.

17 In your presentation references were made on a
18 number of occasions to safety culture. To you
19 young engineers what does that mean with respect to
20 how work is undertaken at a nuclear generating
21 station?

22 MS. LAGAN: Thank you again for
23 the question. Sinead Lagan, for the record on
24 behalf of the North American Young Generation and
25 Nuclear Durham Chapter.

1 I will ask Lorne Corkum to respond
2 to your question.

3 MS. CORKUM: For the record,
4 Lauren Corkum.

5 In our training we are taught that
6 there are many principles which help create a
7 strong safety culture in an organization. First,
8 everyone is personally responsible for nuclear
9 safety.

10 Second, leaders demonstrate
11 commitment to nuclear safety. Trust permeates the
12 organization; decision making reflects nuclear
13 safety first; nuclear technology is recognised as
14 special and unique.

15 A questioning attitude is
16 cultivated; organizational learning is embraced;
17 and nuclear safety undergoes constant examination.

18 As a young nuclear professional it
19 is our responsibility to uphold these principles
20 which make up our nuclear safety policy to ensure
21 the protection of our workers, the environment and
22 the residents of Ontario.

23 MEMBER PEREIRA: Thank you.

24 And my third and final question
25 concerns the environmental challenges that we face

1 in going forward with a project, the type of
2 project that is proposed.

3 What do you see as the most
4 important and most difficult challenge in terms of
5 protection of the environment, with the
6 construction of a new set of reactors at
7 Darlington?

8 MS. LAGAN: Sinead Lagan, for the
9 record.

10 On behalf of the North American
11 Young Generation in Nuclear, Durham Chapter I will
12 ask Shehad Mustafa to respond to your question.

13 MR. MUSTAFA: For the record,
14 Shehad Mustafa.

15 For us we would like to outline
16 that going forward the most important thing is that
17 we make the right decisions at the right time to
18 ensure that we have a stable supply of electricity
19 that provides a cost-effective method of generation
20 of power and does not produce any greenhouse gases,
21 does not cause an increase in the carbon footprint
22 that is causing global climate change.

23 And as such, we feel that the
24 decision to make that should take into fact that it
25 will take about 10 years for us to bring new

1 nuclear power online.

2 Decisions should be made in a
3 timely manner such that we can address this
4 incredibly pressing challenge confronting our
5 society today.

6 Thank you.

7 MEMBER PEREIRA: Thank you

8 Thank you, Mr. Chairman.

9 CHAIRPERSON GRAHAM: Thank you,
10 Mr. Pereira?

11 Madam Beaudet?

12 MEMBER BEAUDET: Thank you, Mr.
13 Chairman.

14 It's rare to see a pilot who is
15 afraid of flying. And people that are afraid of
16 flying usually one solution is to learn how to fly.

17 And I see that your organization
18 provides public outreach. We have here a lot of
19 people that have come to tell us that they have
20 concern for their health, for their safety.

21 And I'd like to know what kind of
22 activities do you do, public outreaches to get more
23 people to come into the nuclear industry or is it
24 also to make others understand why you feel so safe
25 and you feel nuclear is reliable?

1 MS. LAGAN: Thank you for the
2 question. Sinead Lagan, for the record. On behalf
3 of the North American Young Generation Durham
4 Chapter I would like to respond to that question.

5 The Durham Chapter strives to
6 create opportunities for our members to become
7 engaging, empowering, involving nuclear
8 professionals.

9 We achieve this through providing
10 opportunities to our members in three main areas;
11 professional development, membership and networking
12 and community outreach.

13 Part of our community outreach
14 program includes educating the public about nuclear
15 power through public hearings such as this;
16 educating students on nuclear power and the
17 benefits of a career in the nuclear industry;
18 attending career fairs and we also run many charity
19 events where proceeds go directly to local
20 charities.

21 MR. PECK: Brian Peck, for the
22 record.

23 I'd just like to add a couple
24 comments as the NAYGM Public Relations Chair.

25 I feel that the best way for the

1 public to become more comfortable with the nuclear
2 industry in general is to become more knowledgeable
3 about how nuclear power works and what some of the
4 risks are that come with this kind of power
5 generation technology.

6 I personally take a lot of time to
7 discuss with other members of public, friends,
8 community members about the benefits of nuclear
9 power. I try to explain how we control the risks
10 of the generation and I feel that people coming to
11 panels such as this will become more knowledgeable
12 about the technology and will become more
13 accommodating to its use in the future.

14 So I appreciate that everybody
15 came out to learn more about the industry and we
16 will continue to, through the Public Relations
17 Chair, discuss with UOIT students and community
18 members as to how this technology can benefit
19 society and be done safely and sustainably.

20 Thank you.

21 MEMBER BEAUDET: Thank you.

22 Thank you, Mr. Chair.

23 CHAIRPERSON GRAHAM: Thank you,
24 Madam Beaudet.

25 Just one follow-up; I don't know,

1 the last three weeks whether you've had any chance
2 to follow some of the interventions but there have
3 been a lot of people appear before us, not very
4 comfortable about nuclear -- the nuclear industry,
5 and rightfully so because of the recent happenings
6 in Japan and the uncertainties that are still
7 coming forward on a daily basis.

8 How does your organization and
9 young energetic people with a lot of knowledge, how
10 do you get that information out to the public that
11 they understand, and understand the industry
12 better?

13 Your challenge is probably greater
14 today than what it was a month ago or two months
15 ago just because of current events that are
16 happening.

17 And listening to the intervenors
18 that appeared before us their concerns are not
19 getting less they're getting more. And I'm just
20 wondering how do you deal with that as -- the
21 future is before you not like myself or something
22 where at my age -- but at your age, your whole
23 future is before you in an industry that has got
24 some major questions by a lot of the public and
25 we've heard a lot of those people. And they've

1 come forward and we're going to hear more probably
2 this morning. And I don't know -- as I said, I
3 don't know if you've had a chance to follow some of
4 the interventions, but there's a lot of information
5 out there that maybe needs to be clarified to give
6 people more solitude as to -- and comfort with
7 regard to the industry and it's just not there
8 right now, so would you like to address that?

9 MS. LAGAN: Thank you for the
10 question. Sinead Lagan for the record. I guess in
11 response to your question, part of our community
12 outreach, as I mentioned, is going into schools and
13 educating students about nuclear power and the
14 benefits of a career in nuclear power. And I
15 always think it's good for us to always be
16 representative of the industry. We always let them
17 know how we -- how we feel personally. We know
18 that safety of the public, employees, and the
19 environment is of paramount importance. We know
20 all the measures in place that -- that are involved
21 in nuclear power, the multiple barriers. We
22 describe the redundancy in design to the youth that
23 we speak to and we try to relay that in public
24 forums such as this that we participate in.

25 CHAIRPERSON GRAHAM: As I say, I

1 don't know whether you followed them, but, you
2 know, the transcripts are available and you'll see
3 that there's a lot of concern, not only just with
4 the people in this area, but right across the
5 province of Ontario that there are questions out
6 there. And, I guess, my concern is -- is that how
7 do you -- how -- your future is in communication of
8 communicating that, not to say which is right and
9 which is wrong, but to -- for people to understand
10 and I think that there is a lot of uncertainty.

11 And one of the big uncertainties
12 that we've heard in the last -- in the last three
13 weeks is nuclear waste and not everybody is excited
14 or as sure that NWMO is going to be able to reach a
15 decision. There hasn't been a decision anywhere in
16 the world yet as far as storing nuclear waste and
17 alternates -- or the future of storing waste is
18 still on everyone's mind. And just to say that
19 it's going to be looked at by NWMO and there's
20 going to be a whole series of hearings and so on
21 before it becomes a reality, that still isn't
22 giving a lot of people comfort, so how do you
23 address that?

24 MS. LAGAN: Sinead Lagan for the
25 record on behalf of North American Young Generation

1 in Nuclear, Durham Chapter. I'm going to ask
2 Shehab Mustafa to respond to you about the nuclear
3 waste.

4 MR. MUSTAFA: Shehab Mustafa for
5 the record. Thank you for that question. We
6 understand the concern that -- that that question
7 raises, but it's important to -- to note that in
8 over 40 years of commercial operation, the waste
9 has been safely managed in an open and transparent
10 manner and has not posed a significant risk to
11 employees, to the public or the environment, and
12 the waste is managed in conformance with the CNSC
13 and International Atomic Energy Agency regulations.

14 In the global context, Sweden is
15 an example that we can look towards with the long-
16 term waste management. They, in fact, had two
17 communities which were competing to be the sites --
18 willing host communities to host the nuclear waste
19 facility.

20 Part of the process of management
21 of nuclear waste requires transparency, dialogue
22 and the opportunity for people to discuss their
23 fears, their concerns, but it's very important to
24 also have a rational discourse about the benefits
25 that are derived from power generation -- nuclear

1 power generation, the tremendous value that it
2 brings to -- to our society and community, and the
3 fact that there are number of studies demonstrating
4 the technical options are there, technical
5 solutions are there. Our technical understandings
6 are backed up by extensive bodies of knowledge
7 internationally and Sweden and Finland and France
8 and the United States of America and Canada as well
9 demonstrating that the technical solutions are
10 there. We just want to ensure that the people
11 understand that.

12 Part of the role that we as
13 nuclear energy professionals will play and do play
14 is communicating that there is technical solutions.
15 The waste is currently being managed well. It's
16 being managed on site and that there is a plan that
17 is respectful of the decisions of the Canadian
18 public going forward.

19 CHAIRPERSON GRAHAM: Thank you.
20 With that, I will now open the floor up for
21 questions and I'll go, first of all, to OPG. OPG,
22 do you have any questions to North American Young
23 Generation in Nuclear?

24 MS. SWAMI: Gloria Swami for the
25 record. I -- I do have one question for the -- the

1 presenters just in follow-up to one of the
2 questions that the Chair asked.

3 We're just wondering if you can
4 give us a sense in your community outreach program
5 if there's a large number of people that raise
6 concerns with nuclear power during -- during your
7 discussions in the public?

8 MS. LAGAN: Sinead Lagan for the
9 record. On behalf of North American Young
10 Generation Nuclear, Durham Chapter, we have not
11 really come across too much concern. I think
12 whenever we go in, we're -- we're educating them.
13 We're telling them about the safe solutions that we
14 do have. We already have a safe storage solution
15 so, no, we haven't really come across any concerns
16 in -- in our dealings with the public.

17 CHAIRPERSON GRAHAM: Thank you.
18 CNSC, do you have any questions?

19 DR. THOMPSON: Patsy Thompson.
20 No, we don't. Thank you.

21 CHAIRPERSON GRAHAM: Government
22 agencies? The only one I see here is Environment
23 Canada. Do you have any questions? No? Then we
24 will go to questions from the floor. Brennain
25 Lloyd, Northwatch, you have the first question.

1 --- QUESTIONS BY THE PUBLIC:

2 MS. LLOYD: Thank you and good
3 morning. Brennain Lloyd from Northwatch. Mr.
4 Graham, I have a question through you to the
5 presenters.

6 They mention that they're a
7 willing host for Darlington new nuclear, which I
8 assume extends for the 60 years of operation. And
9 I appreciate they have some assumptions that the
10 waste is going to go away somewhere else.

11 As they may not be aware, in
12 Northern Ontario, we've been around that block a
13 few times. Atomic Energy of Canada Limited's
14 efforts to site in the 1980s high-level nuclear
15 waste, the siting task force on low-level
16 radioactive waste management efforts to site low-
17 level waste in the 1990s, numerous efforts to site
18 various wastes from the GTA in Northern Ontario.
19 None of these have been successful.

20 The presenters do note in Sweden,
21 there are two willing host communities. I would
22 note that those are both reactor communities.

23 My question for the presenters is
24 at the point that the NWMO process to find a site
25 fails or the technical case cannot be made -- as

1 you've heard earlier, there are many technical
2 issues outstanding with geological disposal. My
3 question for the presenters are at the point of the
4 NWMO process failing, are they then prepared to
5 become willing hosts for the next couple of hundred
6 thousand years for the nuclear fuel waste?

7 CHAIRPERSON GRAHAM: The question
8 is to you, whoever wants to handle it.

9 MS. LAGAN: Sinead Lagan for the
10 record. On behalf of North American Young
11 Generation in Nuclear, Durham Chapter, I will ask
12 Shehab Mustafa to respond to the question.

13 MR. MUSTAFA: Shehab Mustafa for
14 the record. The waste that is being produced and
15 has been produced for over 40 years has been
16 managed safely on site and as per the current plan,
17 nuclear waste management plan, the waste will be
18 produced -- will be managed safely for at least 50
19 years on site.

20 And part of the process of the
21 Nuclear Waste Management Organization's adaptive
22 phased management plan allows a staged approach
23 primarily for the reason of allowing further
24 discussion and ensuring that the path that we are
25 on is -- is the right one and the correct one and

1 there is always public support for the path. This
2 is a key part of all of our decisions.

3 As far as managing the nuclear
4 waste, it relies on the same essential principles
5 that we use in our -- our nuclear design, which is
6 defence in depth, multiple barriers. The -- the
7 nuclear waste will be deposited in a deep
8 geological repository because that's where we get
9 our fuel from. It's been shown that that's where
10 our fuel comes from. It's safely stored in -- in
11 the ground.

12 There are a number of natural
13 analogues that exist that demonstrate that the used
14 fuel can be stored for many, many year safely, and
15 that's where we get it from.

16 So the eventual deposition of that
17 waste should be within a deep geological repository
18 as shown by several conceptual studies. Several
19 studies have shown that this is the ultimate waste
20 disposal site and it's a safe way to dispose of our
21 nuclear waste.

22 CHAIRPERSON GRAHAM: I think Ms.
23 Lloyd's question though was if that is not -- if
24 that doesn't happen -- she wanted her comments with
25 regard to it being stored onsite for the next

1 several hundred thousand years if there isn't a
2 depository found. I think that was your question.

3 MS. LLOYD: That's right.

4 MR. MUSTAFA: Shehab Mustafa, for
5 the record.

6 The licensing and disposal of
7 nuclear waste follows a process. So it's very
8 important to understand the geological requirements
9 that ensure the multiple barriers. So not only are
10 there engineering barriers there have to be
11 geological barriers as well that ensure that the
12 waste is safely managed, stored, retrievable as
13 part of the plan and continuously monitored before
14 long-term eventual disposal.

15 Those studies -- if it is
16 determined that the site is acceptable to host
17 that, that will be factored into the discussion.

18 But part of the Nuclear Waste
19 Management Organization's adaptive phase management
20 plan is to have those discussions, to have those
21 dialogues, to prepare and look at sites, to have a
22 phase of technology demonstration and undertake a
23 long-term containment strategy.

24 So it's contingent upon finding
25 the existing geological barriers that are required

1 for a long-term waste disposal are in place.

2 So yes, if those sites are
3 available and meet the requirements for the
4 licensing requirements that are required for waste
5 disposal, our opinion is they would be acceptable
6 if they met the licensing requirements.

7 CHAIRPERSON GRAHAM: Thank you.

8 MS. LLOYD: Mr. Graham?

9 CHAIRPERSON GRAHAM: I'll let you
10 have one more question, Ms. Lloyd.

11 MS. LLOYD: No, I'd like
12 clarification. I appreciate your support in
13 getting an answer, I don't think we got it yet.

14 My question is; as an organization
15 they're on record as putting themselves forward as
16 a willing host. They support the willing host
17 concept for Darlington new nuclear.

18 My question is if and or when the
19 NWMO process fails or it adapts itself somewhat
20 more closely to the Swedish model which is to have
21 the waste stay indefinitely in the reactor
22 community, does their organization support becoming
23 a willing host for the used fuel into perpetuity if
24 and when the NWMO process fails? It's a simple yes
25 or no.

1 MR. PECK: Brian Peck, for the
2 record.

3 The nuclear waste management
4 process follows a similar process to the new power
5 reactor process in that a willing host community
6 does have to be found.

7 Clarington is a willing host
8 community for a new nuclear project. At this point
9 -- I mean as a young professional I am unsure of
10 any site that would be a willing host community for
11 a waste repository for used nuclear fuel.

12 As an organization though we will
13 support, and through discussion with the community,
14 and discussion with the people of Ontario, the
15 knowledge and understanding of dealing with waste
16 and we feel that if a community becomes a willing
17 host for a new geological repository it will rely
18 on nuclear energy professionals to provide a better
19 understanding of the process and what depth or what
20 defences are in place to deal with the waste.

21 And at this point I don't believe
22 that -- I mean the fuel can be stored safely onsite
23 for a number of years and will allow the willing
24 host community process to be followed and a
25 solution will be found to the waste management

1 problem.

2 MS. LLOYD: So no, answer.

3 Thank you, Mr. Grant.

4 CHAIRPERSON GRAHAM: Thank you.

5 Mr. Kalevar?

6 MR. KALEVAR: Thank you, young

7 engineers; I am an old engineer. Sorry I can't

8 join you but I can tell you that -- sorry, I'm

9 Chaitanya Kalevar from ---

10 CHAIRPERSON GRAHAM: A question,

11 you know the rules. This is your 77th question so

12 I'd like you to stick to the rules, Mr. Kalevar.

13 MR. KALEVAR: I'm sorry, I don't

14 count my questions because they are limited so

15 often.

16 Anyway, through you, Mr. Chair, in

17 my experience as an engineer we never found any

18 solution for nuclear waste. I will not go there,

19 it has been touched.

20 But I'm really surprised that

21 these six people came here without a medical person

22 on their team.

23 And the question remains that

24 since radioactive bio accumulates the regulatory

25 dose limits do not make sense as Helen Caldicott

1 pointed out.

2 So do you even understand some
3 part of biology and can you tell how you came to
4 the radiological limits, dose limits, can you
5 explain radiological dose limits to us?

6 CHAIRPERSON GRAHAM: Ms. Lagan, do
7 you want to direct that to one of your members?

8 MS. LAGAN: Thank you, Mr. Graham.
9 I will ask Lauren Corkum to respond.

10 MS. CORKUM: For the record,
11 Lauren Corkum.

12 I would like to highlight to the
13 Chair that in 2009 Darlington and Pickering were at
14 -- I believe the actual statistics are 1.8 and 0.7
15 microsieveverts was the radiological critical dose
16 that was monitored and -- monitored for the public.

17 This is well below the regulatory
18 limit, in fact, it's 0.1 percent of the legal
19 radiological limit.

20 Also, at Ontario Power Generation
21 we are very, very -- we take emissions extremely
22 seriously and we apply much stricter internal
23 targets and that is what we do and that's our
24 responsibility as professionals.

25 CHAIRPERSON GRAHAM: Thank you

1 very much.

2 Mrs. Lawson, do you have a
3 question?

4 MS. LAWSON: Pat Lawson.

5 My question is to the senior
6 representative here from the new build Darlington.

7 We would be -- those of us who are
8 concerned would be much encouraged if you did not
9 make, in a public forum, serious errors.

10 The error -- the one error I'm
11 allowed to ask you, because of time, is your -- in
12 the form of a question, it's about climate change
13 and your statement that you made about the nuclear
14 industry not causing carbon emissions.

15 Now, my focus is on the entire
16 process of obtaining the fuel from the mine right
17 up through the -- I live in the town that deals
18 with the fuel -- to the actual way that the fuel --
19 that comes out of the reactors in the form of
20 electricity.

21 There is huge -- my question is;
22 please be accurate and state the carbon emissions
23 that come from all the trucks at the mining stage
24 right through, there is huge -- do you not agree
25 that there is huge carbon emissions?

1 CHAIRPERSON GRAHAM: Thank you,
2 Ms. Lawson.

3 Ms. Lagan, I think the question
4 was cradle to grave type of operation, from the
5 mining right through to the disposition of the
6 fuel, spent fuel that a lot of intervenors have
7 said that there is a carbon footprint and would
8 like you to respond to that.

9 MS. LAGAN: Sinead Lagan, for the
10 record on behalf of the North American Young
11 Generation and Nuclear, I'm going to ask Shehab
12 Mustafa to respond.

13 MR. MUSTAFA: Shehab Mustafa for
14 the record. The generation during the mining
15 operations do generation greenhouse gases, however,
16 if you look at the overall lifecycle of a nuclear
17 power generation plant, with over 60 years for the
18 operation maintenance and field generation costs,
19 with comparison to the other forms of base load
20 power generation and other generation technologies,
21 it's virtually carbon emission free. So we have to
22 consider the overall lifecycle; we have to consider
23 the overall extent of duration which the plant
24 operates and there are a number of studies that
25 have shown that overall, the impact of nuclear

1 power generation has the least significant impact
2 for carbon emissions.

3 CHAIRPERSON GRAHAM: Thank you
4 very much. With that, I want to thank you for
5 coming this morning and making your presentation.
6 On behalf of the panel here this morning, we
7 appreciate everyone's intervention and we
8 appreciate yours and your views towards the nuclear
9 industry and how you are contributing. So thank
10 you very much.

11 With that my understanding is the
12 -- we go to oral statements and we have a group of
13 oral statements this morning. And the next oral
14 statement that is on the record is not here yet,
15 but is on their way so we will go to the third one
16 on the agenda which is Mr. Stephen Leahy. And, Mr.
17 Leahy, are you in the room? Okay. So thank you
18 very much. You people may vacate and Mr. Leahy
19 will come forward with his oral presentation.

20 Remind everyone this morning that
21 oral presentations are ten minutes in length and
22 that questions are not permitted from the floor on
23 oral presentations -- oral statements I mean, but
24 are only from the panel members. So we will start
25 off with Mr. Stephen Leahy and if you'd come

1 forward and introduce yourself.

2 Welcome this morning and we'll get
3 you set up there in a minute, a fresh bottle of
4 water and everything else. Okay. You're all set
5 so -- the only bit of a question I have, Mr. -- or
6 I would suggest, Mr. Leahy, is speak close to the
7 microphone and not too fast for the translators.

8 (SHORT PAUSE/COURTE PAUSE)

9 --- PRESENTATION BY MR. LEAHY:

10 MR. LEAHY: For the record my name
11 is Stephen Leahy. I'm an environmental journalist
12 who resides in Durham Region.

13 For the past 18 years I have been
14 covering environmental issues around the world, in
15 Europe, Africa, South America and most recently in
16 Japan. So my job is to go find out what happened
17 when there's an environmental disaster, an
18 environmental problem, to find out the root causes
19 of these events, not just to report on what
20 happened, but why.

21 And in my experience over these 18
22 years, much of the environmental calamities,
23 problems that we have are a result of -- I think it
24 could be broadly characterized as technological
25 optimism. No one thought that a chemical plant in

1 India would blow up and release huge amounts of
2 dioxins and kill thousands of people. No one
3 thought that a tailings pond in Spain would be
4 breached and release tons of mercury into the
5 environment.

6 These kinds of accidents happen
7 all the time. And the folks who design the
8 systems, design the technology, design the
9 facilities put safety measures in place and
10 believed that these accidents were extremely
11 unlikely; that the risks were low and the benefits
12 were high. Over and over again this has been the
13 case where reality has -- and events have proven
14 them wrong. We cannot foresee everything.

15 The recent incidents in Japan is
16 another example. I mean, Japan is, obviously, a
17 country with lots of tectonic activity and the
18 Japanese knew this. They prepared the facilities.
19 The buildings withstood the powerful earthquake and
20 yet it was the tsunami, of an unexpected level,
21 that caused the partial meltdown.

22 So I am here to urge the panel to
23 adopt precautionary principles. Nuclear energy is
24 a very complex technology as you well know. In any
25 kind of technology, the more complicated it gets,

1 the chances for unforeseen events increase. And as
2 a result, I know the industry is aware of this and
3 have put in a lot of safety systems to prevent
4 them, but we have to be realistic and understand
5 that no safety system can protect us from
6 unforeseen events.

7 So, for instance, in the case of
8 -- again, in the spent nuclear fuel pools, up until
9 this point in Japan no one thought that we could
10 ever have a loss of coolant long enough to cause a
11 partial melt. So I'd like to encourage the panel
12 to adopt a precautionary approach in their
13 deliberations for this new facility.

14 In listening to the conversation
15 before mine, the point about climate change was of
16 interest to me, having just read a study yesterday
17 that compared the various sources of energy around
18 the world in terms of the carbon footprint. And,
19 in fact, nuclear does have a carbon footprint based
20 on this study at the University of Sidney in 2008,
21 that they compare to higher carbon footprint, if
22 you look at the entire lifecycle, than wind power
23 and about the same as solar, certainly better than
24 fossil fuels. So those are -- you know, so the
25 industry and the representatives from the industry

1 need to be clear about their broad statements if
2 they want to inform the public.

3 Just getting back to the point
4 about technological optimism. When we design
5 complex systems, we put in safety barriers or
6 safety protections based on the knowledge at a
7 particular point in time. So, for instance, at
8 this particular point in time, it is believed that
9 a certain level of radiation, let's say, tritium
10 releases is not harmful, that is the conventional
11 belief.

12 Five years from now or even one
13 year from now, new medical evidence, and there is
14 some new studies showing that lower levels of
15 radiation actually affect certain organs more than
16 others. So the dose response idea is being
17 constantly reviewed so I would suggest that this
18 panel also needs to put a, "*Best before date*," on
19 its deliberations given that the -- there is no
20 build timetable that I'm aware of for this new
21 plant. So should you not, I would hope, say, if
22 this facility is not underway within two or three
23 or four years, we need to review the latest
24 information, both the outcomes from what's happened
25 in Japan, but also the new medical data on

1 radiation safety and environmental impacts. So I
2 hope that's going to be part of your findings.

3 My final point is that -- this is
4 about the regulatory side of things. There isn't
5 truly an independent panel. So, for instance, I'm
6 suggesting that our safety panels in Canada do not
7 have a Green Peace representative; they do not have
8 some of the very well-informed folks here who are
9 not professional nuclear engineers, but still have
10 a point of view and expertise that would give, I
11 think, an assurance to the public that we have a
12 truly independent panel that can work together, one
13 would hope, but at least it would provide a
14 diversity of opinions and the assurance to the
15 public that there are people who are looking at the
16 industry in a critical way. I think that would be
17 a -- it would be most helpful.

18 My final point; there's a recent
19 study released by the Union of Concerned Scientists
20 looking at the safety of the U.S. nuclear fleet,
21 and looking at their incident logs over the last
22 year or two, they found 14 near misses; accidents
23 that could have been disasters.

24 It is a fact that we also have
25 incidents, accidents of a minor nature in the CANDU

1 system in Ontario.

2 I mean -- and I think it's
3 important for the public and for the industry
4 itself to be open about these things and have a
5 discussion about what has been done, what could be
6 done to improve the safety of the system.

7 I think that will be the end of my
8 presentation.

9 CHAIRPERSON GRAHAM: Thank you
10 very much for that perspective.

11 I'll go to panel members.

12 Mr. Pereira, do you have any
13 questions?

14 --- QUESTIONS FROM THE PANEL:

15 MEMBER PEREIRA: Thank you, Mr.
16 Chairman.

17 Just a reaction to some of the
18 points raised in this presentation.

19 The last issue you spoke about,
20 about near misses and the need to learn from that
21 experience, we've had undertakings that we've
22 placed on intervenors and also on different
23 government departments and on Ontario Power
24 Generation to review the record of operating
25 experience.

1 And, indeed, we have been informed
2 that the nuclear industry does this as a routine
3 matter, reporting on significant events at nuclear
4 generating stations, not only in Canada but also in
5 the international community.

6 In fact, I think we heard earlier
7 on -- I don't know if you were in the room -- but
8 this afternoon the CNSC will be presenting
9 information from the International Atomic Energy
10 Agency looking at certain types of incidents.

11 In fact, I think the one they
12 might be reporting on concerns human error.

13 And so this is a very valuable way
14 of improving safety performance, so you make a very
15 valid observation.

16 Your suggestion as well on a best-
17 before-date type of consideration of incorporating
18 new knowledge, like after we've written our report,
19 to make that a requirement to update the basis for
20 the recommendations is a very good recommendation.
21 It's something that we will consider as we write
22 our report.

23 The precautionary principle is
24 certainly a principle that is fundamental to the
25 sort of exercise we're undertaking.

1 In your work as a journalist,
2 environmental journalist, what are the issues that
3 you identify as being the dominant causes of
4 failures or accidents, besides the reliability of
5 systems, are there any other aspects that you think
6 that you have learned from the many years of
7 reporting on environmental problems?

8 MR. LEAHY: Stephen Leahy, for the
9 record.

10 Yes. I think it's the operational
11 side of things where costs are to escalate,
12 shortcuts are done, some safety procedures are not
13 followed anymore.

14 The recent incident in -- again,
15 in Japan, there was many, many cases of the company
16 falsifying its safety records over the years, and
17 there was quite a scandal in Japan about that.

18 So, you know, it's the operational
19 side. Sometimes the design part is done quite
20 well, but when it comes to the operational side and
21 the maintenance because the costs are often -- end
22 up with compromising safety.

23 MEMBER PEREIRA: Complacency and
24 economic pressures, I guess.

25 Thank you very much.

1 Thank you, Mr. Chairman.

2 CHAIRPERSON GRAHAM: Thank you,
3 Mr. Pereira.

4 Madame Beaudet?

5 MEMBER BEAUDET: Thank you, Mr.
6 Chairman.

7 I'd like to come back to your
8 concern or the point that you've raised with the
9 precautionary principle.

10 This principle is sometimes used
11 in the wrong context and in Canada, as you probably
12 know, precautionary principle doesn't mean that you
13 don't go ahead with a project because there's some
14 uncertainties. You can go ahead.

15 And the precautionary principle is
16 to put in place a follow-up program that would
17 revise if the uncertainties become true, the
18 mitigation measures.

19 And I'd like to hear a bit more
20 about that.

21 MR. LEAHY: Stephen Leahy, for the
22 record.

23 Okay. Let me give you an example,
24 the nuclear waste issue. There is an assumption
25 here by everyone in the industry that the nuclear

1 waste problem will be solved.

2 You know, is that a precautionary
3 approach? Because I don't believe it would be
4 because we don't know.

5 There is this implicit assumption
6 that we'll figure it out, and the industry is a --
7 it's a marvel of technology and human ingenuity,
8 but that doesn't mean we can figure everything out.

9 And I think that's something we
10 have to guard against. And that's where the
11 precautionary principle helps us, reminds us, that
12 we can't figure out everything and we can't account
13 for all things.

14 So then it comes back to, I think,
15 one of your points earlier about risk. Then we
16 have to make a value judgement based on our
17 perception of the risks. And in order to do that
18 in a fair and open way, we need a lot of public
19 discussions so that folks understand this is the
20 risk we're running with this particular technology.

21 And I'm not so sure that the
22 education and that discussion at the public level
23 has been anywhere near what it needs to be.

24 MEMBER BEAUDET: Thank you.

25 Thank you, Mr. Chairman.

1 CHAIRPERSON GRAHAM: Thank you,
2 Madame Beaudet.

3 And thank you, Mr. Leahy, for your
4 comments and answers to the questions from my panel
5 colleagues. Thank you very much for coming.

6 With that, I'm going to declare a
7 15-minute break. And when we come back, I
8 understand that Mr. Polanyi is here or near here,
9 and we'll hear that oral statement when we come
10 back.

11 So Chair will resume at 20 minutes
12 to 11.

13 --- Upon recessing at 10:19 a.m./

14 L'audience est suspendue à 10h19

15 --- Upon resuming at 10:35 a.m./

16 L'audience est reprise à 10h35

17 CHAIRPERSON GRAHAM: Well, welcome
18 back, everyone, and welcome the new group that has
19 just come in.

20 And the next on the agenda is
21 Michael Polanyi with his oral statement.

22 And the oral statements, the way
23 they work for the benefit of those that have just
24 come and joined us, they are of a duration of no
25 more than 10 minutes. Questions are not permitted

1 from the floor, but are permitted from the panel
2 members.

3 And with that, we welcome you and
4 ask you to proceed with your statement.

5 Two other things I should say.
6 Keep close to the microphone and don't talk too
7 fast because we have simultaneous translation, and
8 if you're talking fast the translators have a hard
9 job of translating.

10 So very -- that's it, so whoever
11 is speaking for Michael Polanyi, please proceed.

12 --- PRESENTATION BY MR. POLANYI:

13 MR. POLANYI: Hello, Mr. Chairman.

14 My name is Andrew Polanyi. I've
15 come here today with youth from several Toronto
16 schools to discuss the issue of nuclear power.

17 I understand that before you make
18 the decision to approve this Darlington nuclear
19 plant, you are supposed to have talked to all
20 people which this plant might affect.

21 So will you reach out and talk to
22 youth before making your decision?

23 It's our future, and the
24 generations to come which this plant might affect
25 and who will bear the cost and risk of nuclear

1 waste and possible accidents or technical problems
2 in the future.

3 Young people will live with the
4 radiation emitted from the plant. We are the ones
5 who will suffer the most tax and live with the
6 risks of accidents for the longest.

7 Do you have the right to make this
8 decision when it will only benefit our electricity
9 supply for around 30 years, but the nuclear waste
10 will never go away?

11 I urge to require that OPG consult
12 with youth in their high schools and communities
13 before allowing OPG to impose the risks and damages
14 of another nuclear plant.

15 Thank you.

16 CHAIRPERSON GRAHAM: Thank you
17 very much.

18 Any of your other group wish to
19 speak, you have a couple of minutes more. If you
20 don't, I will first go to my colleagues, and I will
21 ask ---

22 MEMBER PEREIRA: I think they have
23 some ---

24 CHAIRPERSON GRAHAM: Oh, you do?
25 Sure. As I say, you have some extra time, so

1 identify yourself and please speak.

2 MR. PAUSEY: Hello, Mr. Chairman.

3 My name Bowen Pausey, and today we
4 are all here to talk to you about the lack of
5 information given to youth on the Darlington
6 nuclear plant.

7 We as the youth of Toronto
8 community would like to know why we haven't been
9 informed? It's hard enough for the youth to get
10 here, the only way would be driving which mostly
11 all of us can't do.

12 Why haven't the youth been
13 informed on this nuclear plant and why is it so
14 inaccessible for youth to get to the hearing?

15 The youth of Toronto are going to
16 be having to pay off the plant and dealing with the
17 waste in the future, so why is our future being
18 wasted?

19 Thank you.

20 CHAIRPERSON GRAHAM: Thank you.

21 Anyone else?

22 MS. SHIDFAR-MAKENNA: Hello, Mr.
23 Chairman, my name is Roya Shidfar.

24 As you know, recently Japan was
25 hit by a massive earthquake and tsunami. The damage

1 to the Fukushima Nuclear Plant has made for a
2 devastating situation across the country and
3 beyond.

4 Can you imagine an accident or
5 natural disaster causing something like this to a
6 nuclear plant in our community? This could
7 possibly have many short- and long-term effects on
8 us, the youth. We should begin to think differently
9 about past mistakes.

10 Renewable energy sources such as
11 wind turbines and solar power are much more cost-
12 efficient and environmentally friendly.

13 We should put all our efforts in
14 sustainable resources. We recommend that you take
15 a hard look at other sources of energy. Nuclear
16 power creates radioactive waste for what we have
17 not found a way to safely manage or store.

18 As of 2000, Canada's had 35,000
19 tonnes of highly radioactive nuclear waste and
20 nowhere to put it. This means huge costs and risks
21 for many future generations to deal with our waste.

22 Thank you.

23 CHAIRPERSON GRAHAM: Thank you
24 very much. Next?

25 MS. McMAHON: Hello, Mr. Chairman.

1 My name is Becca McMahon.

2 A few years ago I went to Japan
3 and stayed there with my mom's friend. Her
4 daughter, Honor (ph) and I became good friends.

5 Now, since the earthquake, I am
6 very worried about her and her family. If we put
7 that nuclear plant and we could have the same
8 problems here as they're having in Japan and we all
9 won't be safe.

10 Shouldn't the earthquake and
11 tsunami in Japan teach us a lesson to stop putting
12 the plants in?

13 Thank you.

14 CHAIRPERSON GRAHAM: Thank you.

15 Next?

16 Hello, my name is Sive Pausey, and
17 I'm going to be reading the youth petition.

18 No new Darlington Nuclear plant.
19 We, the undersigned youth, urge the Joint Review
20 Panel not to approve the construction of four new
21 nuclear reactors at Darlington, Ontario.

22 We do so because as youth we will
23 shoulder the greatest burden of paying for the \$25
24 billion plant through a lifetime of high hydro
25 rates and taxes.

1 We will face the greatest health
2 risks from exposure to radiation, and the risk of a
3 nuclear accident like the one in Chernobyl that
4 killed tens of thousands of people.

5 We will be responsible for trying
6 to find a way to safely store radioactive waste
7 which is hazardous for thousands of years.

8 We have not been consulted in our
9 schools or communities about the decision to build
10 a new nuclear plant. We have been misinformed by
11 government and industry who portray nuclear energy
12 as clean, emission-free and affordable, and we
13 believe that Ontario's electricity needs can met
14 more safely and more cheaply through energy
15 conservation and renewable energy.

16 Mr. Chairman, may I give you this
17 paper?

18 CHAIRPERSON GRAHAM: Yeah, well,
19 you keep it and when you get finished we'll have
20 someone pick it up from you, and we appreciate --
21 but we will accept your petition but after you get
22 done speaking. I think you have one more speaker?

23 MS. PAUSEY: Thank you.

24 MR. BASKARAN: Good morning,
25 Chairman and panel, my name Ashwin Baskaran and I'm

1 a high school student from Scarborough.

2 To continue on what has already
3 been said, our greatest concern is that nuclear
4 energy is detrimental to our health.

5 In 2007, Greenpeace released a
6 report criticising the regulatory limit on tritium
7 in Canada, a radioactive carcinogenic isotope of
8 hydrogen, and a bi-product of our nuclear reactors.

9 Canadian limits for tritium in
10 drinking water are among the most lax in the world.
11 Compared to the European Union's 100 becquerels a
12 litre, we're at 7,000 Becquerels and steadily
13 increasing as the levels of tritium increase.
14 Solving the problem for the levels is not by
15 increasing the limits to make it a lethal amount.

16 We cannot filter this from our
17 water because it is a part of our water, and where
18 water goes tritium goes, and its beta decay can
19 mutate our DNA and cause carcinogenic effects.

20 Apart from that, there still
21 remains the plethora of dangers posed by the low-
22 level radiation ionizing from the nuclear plants.
23 We have learned from disasters such as Chernobyl as
24 well as the less obvious but long-term problems of
25 disposal of mine wastes and mill tailings and the

1 ecological impacts of this technology.

2 We have also learned from the
3 human health effects of low-level radiation
4 exposure on workers in the nuclear industry, most
5 recently summarized by the Biological Effects of
6 Ionizing Radiation VII Report.

7 A proliferation of nuclear power
8 plants inevitably means more nuclear workers and
9 more residents exposed to this ionizing radiation
10 with increased health risks attendant to this
11 exposure.

12 None of this health -- none of
13 this, the health of our generation and the planet,
14 should be compromised for what we youth have been
15 told is clean and cheap.

16 The annual 2011 Energy Outlook
17 Report by the Energy Information Administration
18 shows that by 2016 nuclear energy will cost about
19 \$114 per megawatt hour, whereas geothermal and
20 biomass are slightly less. Wind and hydro will
21 reach even cheaper at \$85 to \$95 per megawatt hour.

22 And the claims on the cleanliness
23 of nuclear energy are not valid, even when there is
24 no accidental mass contamination of our entire
25 planet. Up to 366 hundred thousand tonnes of

1 carbon dioxide are produced every year in Canada
2 from nuclear plant construction and the related
3 process alone. And having uranium dust in our air
4 from mining is not so much preferable to carbon
5 dioxide.

6 As a whole, we, the youth of
7 Ontario, have been neglected in the decision-making
8 process that primarily affects our lives and the
9 generations to come. We will be the ones
10 responsible for the dangerous waste management of
11 nuclear energy production, and we will be the ones
12 to suffer the consequences of the smallest
13 unforeseen malfunction.

14 Therefore, we kindly request that
15 we be consulted with on a regular basis, that we
16 are kept well-informed through presentations in our
17 schools and communities, and that we're integrated
18 into the whole process and not disregarded or, even
19 worse, misled.

20 We thank you for your time and for
21 taking our words into consideration despite our
22 age. We hope that you take into account all of the
23 risks that will be posed to our lives, and
24 ultimately make a sound decision with human health
25 being the top priority.

1 Thank you.

2 CHAIRPERSON GRAHAM: Thank you
3 very much. Are there any other ones? No?

4 If not -- you don't have to
5 apologize about your age. It's the fact that
6 you're here this morning and speaking of what your
7 concerns are is what is important for this panel,
8 and I -- we all appreciate the orderly and
9 respectful way in which you presented your views
10 this morning.

11 And I've got to remind you, you
12 know, this is webcast around the world, so other
13 youth if they're watching and not the school or
14 something, will be also seeing what you're doing,
15 so you are getting the message out and I think
16 that's important.

17 So I'll go now to members of the
18 panel.

19 Madame Beaudet, you're first, if
20 you have some questions?

21 --- QUESTIONS BY THE PANEL:

22 MEMBER BEAUDET: Thank you, Mr.
23 Chairman.

24 I'd like to understand a little
25 bit more about the petition and I was wondering if

1 one of you could explain how many schools have
2 signed. What is the level, is it only high school,
3 is it just Toronto, which areas in Toronto? I
4 wonder if someone could explain a bit more, please.

5 MR. BASKARAN: Ashwin. We had
6 about 180 petitions to date. It was signed by 180
7 people, and the limits on the petition were anyone
8 under 20. So it would be ranging from elementary
9 school students to high school students to even
10 some university students.

11 We don't have data on where the
12 regions where the people are from, but that was in
13 the form that they had to fill online. So if you'd
14 like, you could check that. We have the
15 information.

16 MEMBER BEAUDET: I think that it
17 would be -- well, just to know if it's just from
18 Toronto. Did you do it over the province, any
19 school in the province, or it's just the city of
20 Toronto?

21 MR. BASKARAN: Most of the people
22 who signed were from Toronto.

23 There are some from others.
24 Because it was posted on-line, it was available to
25 anyone.

1 MEMBER BEAUDET: Yeah, that's
2 sufficient information and thank you. Thank you
3 for coming.

4 Thank you, Mr. Chairman.

5 CHAIRPERSON GRAHAM: Thank you,
6 Madame Beaudet.

7 Mr. Pereira?

8 MEMBER PEREIRA: Thank you for
9 your presentation. It's certainly very interesting
10 and refreshing to see what you presented in such a
11 responsible fashion and some very clear points.

12 One of the concerns that came up
13 more than once was why you were not consulted since
14 this this development will impact on your future.

15 In the information presented to us
16 on consultation, Ontario Power Generation did on
17 many occasions tell us about the outreach to
18 schools, in going after the schools, sharing
19 information on nuclear power in schools, I believe,
20 in the Durham region, but the -- I'm not sure
21 whether that extended to consultation.

22 I'll invite Ontario Power
23 Generation to comment on the concerns being
24 expressed here with respect to information and
25 consultation of the new generation?

1 MS. SWAMI: Laurie Swami, for the
2 record.

3 I will ask Jennifer Knox to speak
4 to that. She's a public affairs representative
5 from Darlington.

6 MS. KNOX: Jennifer Knox, Public
7 Affairs Manager at Darlington Nuclear.

8 OPG works with our peers in the
9 electricity industry and educational professionals
10 to ensure that teachers and students have
11 information they need to meet the requirements of
12 the Ontario Education Curriculum.

13 On opg.com we have information for
14 teachers and students between grades 5 and 8 and
15 grades 9 to 12 and, in addition we have school kits
16 that are distributed across the province for grades
17 1, 6 and 9.

18 We work closely with partners at
19 Scientists in the School for schools in the Durham
20 Region and across the province, as well as an
21 organization called Let's Talk Science. And
22 through those school programs, we also get
23 information into the school.

24 As far as feedback and information
25 from students, we have a number of venues for

1 students to contact us and are always welcome to
2 visit the Information Centre for further -- to get
3 further information.

4 Thank you.

5 MEMBER PEREIRA: Thank you, Mr.
6 Chairman?

7 CHAIRPERSON GRAHAM: Just one --
8 yes, go ahead, Alexander is it? Yes, press it.

9 MR. POLANY: Andrew, for the
10 record.

11 About those packages, I'm not sure
12 if I ever received one of those from 1 to 3. I
13 just got out of grade 6 and I'm not sure, I don't
14 think I ever received a package about nuclear
15 energy and power plant.

16 Thank you.

17 CHAIRPERSON GRAHAM: Thank you.

18 That was exactly what I was going
19 to say, that every day of one's life is a lesson
20 learned. And perhaps today is lessons learned for
21 OPG, in that maybe you should think about
22 rechecking your communications, rechecking your
23 involvement in getting information out to not only
24 the Durham Region, but other parts of Ontario.

25 And especially we have a petition,

1 which I'm going to accept shortly, that is going to
2 indicate certain schools that have not had that
3 information. And I would suggest that there is a
4 challenge here and these young people have brought
5 a very orderly challenge to the industry.

6 Just before, or a couple of
7 intervenors before, we had a submission from North
8 American Young Generations in Nuclear. And I don't
9 know if any one of them are here yet, but I think
10 that would be good lessons learned for them to see
11 how young people are showing concern and showing a
12 demand for more knowledge about a very important
13 part of the electrical grid of Ontario, but also a
14 very important part of their future.

15 They've got a long life to live
16 ahead of them and it would be very important that
17 this -- your North American Young Generation, your
18 organization, help and work with not only OPG but
19 with the industry to make sure that the right
20 knowledge is out.

21 And, hopefully, you'll be
22 challenged and you will be challenged on some of
23 the things that these young people and other young
24 people here in Ontario or across Canada feel that
25 they need answers for.

1 So I think you've made your point
2 this morning. You've made it very, very orderly
3 and very well, and I thank you very much for
4 coming.

5 I'm going to -- much of the rules
6 all tell me that I can't do this and I can't do
7 that, but do you want to bring that petition up?
8 Thank you very much.

9 And we'll share it with OPG and
10 others that may want to contact -- because it will
11 be put on the web and it will be part of the
12 documents that go with this hearing.

13 So do you want to have the last
14 word? Very good. Yes, go ahead.

15 MR. POLANY: They also said, OPG
16 said that a lot of the information would be
17 available on the internet to students, but I would
18 just like to comment how not every student has a
19 computer.

20 Thank you.

21 CHAIRPERSON GRAHAM: A very valid
22 point.

23 Thank you very much for coming and
24 thank you for sharing your views, your concerns.
25 And as future people that will work in the industry

1 or work in other aspects of the industry or -- of
2 industry, not the industry, but of industry.

3 Thank you for your participation
4 and your observations. A safe trip back.

5 We -- I understand -- pardon me?

6 MEMBER PEREIRA: They just want a
7 photo-op.

8 CHAIRPERSON GRAHAM: Oh, sure
9 thing, wants a photo-op. Just sit there for a
10 moment. Sure, yeah. Do the rest of you want to
11 come around in the back? We'll take a minute and
12 do that.

13 Mr. Kalevar, you're too old to be
14 in that picture. You can take a picture, but
15 you're too old to be in that one. Thank you.

16 MR. POLANY: Thank you once again.

17 CHAIRPERSON GRAHAM: And I might
18 say that you're welcome to stay and watch some of
19 the proceedings this morning.

20 The only thing is I need the table
21 for the next presenter but, other than that, we
22 want you to stay and see how these proceedings
23 work.

24 Next on the agenda, which
25 is -- I'm altering it a little bit to accommodate

1 the next oral statement who cannot stay with us the
2 whole morning, and I'm going to call upon Mr. John
3 O'Toole to come forward to make his oral statement,
4 please?

5 Good morning, Mr. O'Toole. And as
6 I said, perhaps you weren't here, it's 10 minutes
7 for oral statements. Questions will come only from
8 the panel members.

9 And I'll just ask two things,
10 speak slowing and into the mic so that the
11 translation system is able to pick it up and follow
12 along and the next -- our other official language.

13 So with that, welcome, and the
14 floor is yours?

15 --- PRESENTATION BY MR. O'TOOLE:

16 MR. O'TOOLE: Thank you, Chair,
17 and panel members for the opportunity to speak this
18 morning.

19 A little bit of a biographical
20 background. My name is John O'Toole. I'm the MPP
21 for the area and my riding is called Durham. It
22 includes Uxbridge, Scugog and Clarington And I've
23 been in that position for just over 15 years. And
24 I'm a parent of five children, all grown children
25 of course, and I have five grandchildren and two

1 more on the way. Many of them live within our
2 area.

3 I would only say that it's a real
4 privilege to present to the panel this morning. In
5 fact, I would consider it a duty.

6 I really have four points to
7 briefly put before you to represent my community
8 effectively, the first point being the community
9 support for the new-build project is as a willing
10 host.

11 Durham and Clarington have been
12 proud home to Pickering and Darlington Nuclear for
13 over 40 years. The new-build project will continue
14 this long tradition of energy investment in
15 Clarington, Durham and, in fact, Ontario. It's
16 important to note that electricity is primarily a
17 provincial responsibility for the decision of what
18 power sources to use; whereas, I understand the
19 federal role, the AECL, and this commission is
20 important objectives that we hear today.

21 Energy is the backbone of the --
22 of our economy and currently half of Ontario's
23 baseload capacity is supplied by nuclear power.
24 Darlington alone provides 20 percent of Ontario's
25 electricity needs. And again, I'm privileged to

1 present and represent Durham Riding for over 15
2 years and it's home to many skilled -- skilled
3 people, as well as administrative people, in the
4 industry right straight through to the university
5 level.

6 It's rather humbling this morning
7 to follow two groups of young engineers from OPG as
8 well as the young students that just presented
9 here. It's great to see the amount of
10 participation in this discussion as well.

11 You've heard from the Clarington
12 Board of Trade, who recently has reaffirmed that
13 3,200 skilled jobs and 1,500 operational jobs could
14 be created. This is an important economy issue.
15 And further, that over 7.5 billion would boost the
16 local economy and generate during the construction
17 a further 860 million in annual economic impact,
18 not to mention the jobs on an ongoing basis. Total
19 income in Clarington will increase total household
20 income between 150 to \$250 million. Durham
21 certainly is an energy capital for Ontario.

22 Municipal, regional and community
23 stakeholders have all expressed their support for
24 this project as willing hosts. The Region of
25 Durham stated on June 1 last year, and I quote:

1 "Durham Region, as an
2 experienced and informed
3 nuclear host community, is a
4 willing and supportive host
5 for the new build Darlington
6 project."

7 Former Mayor Jim Abernethy said that Clarington is,
8 and I quote:

9 "Both proud and supportive of
10 the province of Ontario's
11 decision to select Clarington
12 to be the home for nuclear
13 new build in Ontario."

14 And the panel has already heard also from Mayor
15 Adrian Foster on how OPG has built a relationship
16 of trust with Clarington and how Clarington was
17 deeply involved in this process through the peer
18 review of the environmental impact assessment.
19 Clarington was supportive of the environmental
20 impact assessment and, indeed, supported the
21 recommendations of the assessment which led the
22 council to passing a resolution that spoke of their
23 support of the project.

24 In his presentation to you, Mayor
25 Foster concluded by stating, and I quote,

1 "Clarington is proud to be a nuclear host
2 community."

3 Not only has there been support
4 from local government, but also from the community
5 at large. The Clarington Board of Trade, the
6 Durham Home Builders Association, Lakeridge Health,
7 Mosport Raceway -- and all stated publicly their
8 support for the project. Many qualified
9 individuals have commented. Elaine Garnett, the
10 president of the Clarington Board of Trade stated,
11 and I quote:

12 "The Clarington Board of
13 Trade is proud to have a
14 strong nuclear presence in
15 our community with OPG,
16 Ontario Power Generation
17 nuclear station. We continue
18 to work with our local
19 business as they prepare to
20 capitalize on the many
21 opportunities that
22 refurbishment and new build
23 at Darlington will bring to
24 Clarington, Durham and,
25 indeed, Ontario."

1 Durham is truly the energy capital
2 in Ontario. In fact, in 2005, the Durham Strategic
3 Energy Alliance was formed as a non-profit body
4 composed of business, government and education
5 institutions. The goal of the Alliance is to
6 advance energy initiatives and address energy
7 concerns in Durham and, in fact, in Ontario. The
8 Durham Strategic Energy Alliance supports the
9 Darlington project. Michael Angemeer, former
10 chair, stated, I quote:

11 "That Durham Strategic
12 Energy Alliance is supportive
13 of nuclear generation in
14 Clarington and Durham Region.
15 We believe that clean
16 baseload nuclear power
17 provides an opportunity for
18 more stable communities from
19 an environmental and economic
20 point of view."

21 It goes on:

22 "Durham College is already an
23 established and important
24 facility producing well-
25 educated, skilled people at

1 all levels."

2 The University of Ontario
3 institution has embraced the pursuit of nuclear
4 excellence. UOIT is the only university in Canada
5 that offers an honours undergrad degree dedicated
6 to the study of nuclear energy and OPG is a big
7 partner in that. UOIT and OPG are strong partners
8 in the Durham economy.

9 Not only do business and educators
10 support this project, so too do our health
11 professionals, those who count on to provide the
12 frontline health care in Durham. Kevin Empey, the
13 president and C.O. of Lakeridge Health said, and I
14 quote:

15 "The relationship between
16 good health and a strong
17 economy and community is
18 undeniable. The benefits of
19 solid job growth and
20 expanding education and
21 apprenticeship opportunities
22 will help make Clarington and
23 Durham even more prosperous
24 and healthier and a place to
25 live and to work."

1 Our government supports this
2 project. Our businesses support this project. Our
3 educators support this project. Our professionals
4 support this project. And today I want to be very
5 clear and state on behalf of our leader -- my
6 leader and Opposition Leader of the PC Party of
7 Ontario that we support the project. The
8 Darlington refurbishment and new build project are
9 important to Clarington, Durham, and Ontario, and
10 you might argue for Canada.

11 My second point is nuclear safety
12 is an environmentally-friendly -- nuclear power --
13 pardon me, is a safe environmentally-friendly
14 generally carbon-free source of Ontario's future.

15 And yesterday, I was privileged in
16 the Legislature. The Japanese Ambassador to
17 Canada, His Excellency Kaoru Ishikawa, presented to
18 the Legislature, which is a highly unusual
19 situation. Each of the members of the Opposition
20 parties were also allowed to respond. There was
21 general support and understanding and appreciation
22 and sympathy for the conditions in -- in Japan.
23 We've endeavoured and expressed our sympathy to the
24 community in Japan who are facing devastation from
25 the earthquake and subsequent tsunami.

1 The nuclear facility and their
2 backup systems were overwhelmed by these twin
3 catastrophic events. We will, I'm sure, learn much
4 from the Japanese experience and I am certain we
5 will continue to learn from it through the reviews.

6 All of us here this morning
7 understand that safety and reliability are of
8 paramount importance with any nuclear project and I
9 am confident that our new build CANDU reactors will
10 adopt the best world-class designs and safety
11 standards. They always have. For over 30 years,
12 CANDU reactors have continued to operate without
13 significant events. The experts agree that
14 Darlington is a safe and optimal location for the
15 new build.

16 The Canadian Nuclear Safety
17 Commission in March of this year stated, and I
18 quote:

19 "The CNSC, as the Canadian
20 nuclear regulator, is
21 confident about the safety of
22 Canada's fleet of nuclear
23 reactors regarding seismic
24 activity. The CNSC assures
25 Canada that nuclear power

1 plants located in Canada are
2 amongst the most robust
3 design in the world and have
4 redundant safety systems to
5 prevent damage in the case of
6 earthquakes."

7 In their response to the Japanese
8 earthquake, OPG studied the effects of seismic
9 activity in Darlington. They stated, and I quote:

10 "A number of expert studies
11 have confirmed that South
12 Durham Region has a low
13 seismic hazard. Our reactors
14 are robust in design and are
15 able to withstand large
16 seismic events. In fact, the
17 two most recent earthquakes
18 had no impact on our
19 operations."

20 And finally, OPG, Ontario
21 Power Generation, assessed the emergency
22 preparedness plan on the site in 2009 and
23 concluded, and I quote:

24 "The results of the
25 evaluation show that the

1 current nuclear emergency
2 preparedness program
3 applicable to the Darlington
4 nuclear generating station
5 site is broad, flexible,
6 detailed and robust."

7 We know that we must have the most
8 robust safety redundancies in the world and
9 Darlington has the history of performance to prove
10 it. I live here. OPG knows that they must
11 demonstrate continually to our community that this
12 project is safe and operated safely.

13 Number 3, Ontario's energy future.
14 We all need to understand where Ontario's power
15 comes from and where it will come from in the
16 future more importantly. Ontario Power Authority,
17 OPA, most recent supply mix report from 2005 gave a
18 picture of where the supply mix of electricity
19 would be coming from. In that report, nuclear was
20 51 percent, renewable including hydro was 23 --
21 hydroelectric -- was 23 percent, gas 7 percent, and
22 coal 19 percent. When we look into the future to
23 2025, the picture looks like this: nuclear 50
24 percent, renewable including hydro 43 percent,
25 gasification 1 percent and gas 6 percent.

1 And i-STAT note as well that it's
2 so important, the aspect of energy management and
3 conservation. The decision has been made that
4 Ontario's energy future will be mixed with nuclear
5 as a foundation.

6 Nuclear play the biggest role in
7 our electricity generation and continue to play the
8 biggest role in our electricity generation as we
9 move into the future. We just simply must do it
10 safely.

11 While our reliance on new
12 innovative forums of renewable energy will change
13 in the coming decades our reliance on nuclear base
14 load will not.

15 Even with Ontario's push into
16 green energy through the feed-in tariff program
17 nuclear will still make up the backbone of our
18 supply. Most experts, even the OPA have
19 recognized, that renewables would be composed,
20 perhaps less than 5 percent.

21 The recent OPA Long-Term Care
22 Energy Plan, delayed, indicated by 2030 nuclear
23 will still supply 46 percent of our power
24 generation.

25 The Ontario government's own plan

1 calls for the establishment of the new build at
2 Darlington when they stated in their plan, and I
3 quote:

4 “The government is committed
5 to continuing to use nuclear
6 for about 50 percent of
7 Ontario’s energy supply.”

8 The capacity of 12,000 megawatts
9 will produce that amount of energy. The remaining
10 nuclear capacity of 10,000 megawatts at Darlington,
11 Pickering and Bruce will be under refurbishment and
12 remodernized.

13 The remainder of the nuclear
14 capacity of Ontario will need for its projected
15 demand about 2,000 megawatts and this will be made
16 up by the new nuclear at Darlington.

17 On Monday the Joint Panel heard
18 from the Canadian Environmental Law Association
19 that OPG has not yet submitted an adequate
20 environmental assessment and has not demonstrated
21 that the new facilities are necessary. To which
22 OPG responded that their options are limited by
23 directives from the Ministry of Energy and the
24 provincial government.

25 Yet, the Ministry of Energy’s

1 Long-Term Energy Plan, and indeed our economic
2 economy, explicitly calls for new nuclear at
3 Darlington. It would be a shame for us to see
4 adverse consequence of Ontario's energy future
5 because of the government not doing its homework.

6 Our Ontario economy's future is
7 tied to our ability to have enough power and
8 ability to have enough power is directly tied to
9 our support for this project.

10 And I can assure you once again
11 that our opposition party is committed to the
12 refurbishment and the new build at Darlington. I
13 would not want anyone to be ambiguous about that.

14 And number four point is the need
15 for transparency in all forms of energy generation.

16 And finally, I want to move on to
17 the final point which I admit which is for the
18 transparency and the whole issue of cost.

19 We need to have an open and
20 transparent discussion on electricity costs. This
21 has arised out of Bill 150, the *Green Energy Act*
22 that the McGuinty government, through the feed-in
23 tariffs often referred to as FIT program is
24 subsidizing electricity production and has bound
25 the government and the taxpayers of Ontario to

1 subsidize certain types of power for at least the
2 next 20 years.

3 Keep in mind that the private
4 sector producers of wind, solar and other
5 renewables put up the capital. They only get paid
6 when they produce electricity.

7 I might add that renewable energy
8 generated through solar, wind specifically, are
9 commonly referred to by the experts as intermittent
10 or non-dispatchable power sources.

11 Renewable power ---

12 CHAIRPERSON GRAHAM: Mr. O'Toole,
13 if you could soon wrap up, your 15 minutes -- I
14 generally allow 10 but if you could wrap it up we'd
15 appreciate it.

16 MR. O'TOOLE: Would you give me
17 another minute, I only have one page left?

18 Thank you very much.

19 Under the current microfit program
20 price is for biomass is 13.8 cents per kilowatt
21 hour; onshore wind is 13.5, that's certainly --
22 it's now currently on hold; rooftop solar is 80.2
23 cents per kilowatt hour; ground modded solar is
24 64.2 cents per kilowatt hour; water power comes in
25 at 13.1 cents per kilowatt hour and nuclear costs

1 are not that clear.

2 Remember, nuclear fossil fuel
3 generation plus hydro generation have served
4 Ontario and indeed the economy well for years.

5 High cost energy, like those from
6 feed-in tariff programs hurt those who can least
7 afford it and affordability of electricity is an
8 important government policy, in fact, they regulate
9 it.

10 What we are saying that were open
11 and honest discussion about the true costs from
12 build operation decommissioning, this is very
13 important.

14 The bottom line is; how much will
15 Ontario be willing to pay for safe, reliable
16 electricity in the future, electricity indeed,
17 energy will be an important part of the discussion
18 globally in the future.

19 Governments, institution and the
20 private sector engaged in the development of safe,
21 reliable, and affordable alternatives, complete
22 financial transparency will allow the public to
23 understand the choices in the new carbon-free
24 global economy.

25 And I want to thank the panel for

1 this opportunity to speak and represent you on
2 behalf of my constituents in the riding of Durham.

3 Thank you very much.

4 CHAIRPERSON GRAHAM: Thank you,
5 Mr. O'Toole.

6 Questions from panel members? Mr.
7 Pereira?

8 --- QUESTIONS BY THE PANEL

9 MEMBER PEREIRA: Thank you, Mr.
10 Chairman.

11 One of the concerns that has been
12 quite frequent in the interventions before us is
13 the impact of the nuclear industry on health of
14 workers and the public in Canada.

15 In your 15 years as an MPP has
16 this been an issue that you've faced in talking to
17 your constituents over the years?

18 MR. O'TOOLE: No. In fact we,
19 quite frankly, have never really had any major
20 concerns. In fact there haven't been any major out
21 -- or events in Durham in the 30 or 40 years -- I
22 was a counsellor and a regional counsellor prior to
23 serving provincially and as a willing host there's
24 a fair amount of open and transparent communication
25 between -- not just OPG but the educators and --

1 persons that may have other points of view -- but
2 have never been raised when the extent -- the
3 health care community is a very important commenter
4 on this and I do meet with them regularly.

5 MEMBER PEREIRA: That's good to
6 hear that because we have had intervenors, some
7 doctors have come before us and members of the
8 community, not necessarily from Durham but from
9 further afield who have expressed concern about the
10 long-term effects of radiation, including tritium
11 in drinking water but also low level doses of
12 radiation.

13 But this is not -- from what you
14 say, this is not something that you have
15 encountered.

16 MR. O'TOOLE: With your
17 permission, I would say I'm not a scientist nor am
18 I generally qualified to comment except that as a
19 recipient of constituent's concerns I would always
20 pass those on to either the Ministry of Health to
21 get them a significant response that would be
22 viable.

23 But you know, if you look at in
24 society today, with CT Scans and MRIs, all of which
25 expose people to a certain amount of risk and there

1 are some background issues which have been brought
2 to your attention here, I think we need to stay on
3 top of it and well informed and educated.

4 And I think one of the presenters
5 earlier this morning made the point that as
6 medicine and science and nanotechnology and those
7 things advance we'll certainly be more able to
8 detect early, diagnose early, all these other
9 things.

10 So you know, it's an important
11 part of the whole equation.

12 MEMBER PEREIRA: Thank you.

13 Thank you, Mr. Chairman.

14 CHAIRPERSON GRAHAM: Madam
15 Beaudet?

16 MEMBER BEAUDET: Thank you, Mr.
17 Chairman.

18 We had several interventions
19 commenting that the unit should be built somewhere
20 else because here you have close by, large
21 populations and also the lakes -- the five lakes
22 but this region is very much an area where people
23 would have water activities and have cottages by
24 the lake.

25 And I was wondering how do you

1 respond to comments like that?

2 MR. O'TOOLE: Well, it is a
3 beautiful area, I'm privileged to represent Lake
4 Ontario. I'm a sailor and I enjoy the water and
5 we're very fortunate -- the growth and population
6 probably is a comment on how the vast majority of
7 people are comfortable and confident in nuclear as
8 part of Ontario's base load for the strong economy
9 we have.

10 And I quite frankly believe that
11 it's surprising how well they are in the community,
12 and I look at Pickering more so than Darlington.
13 Darlington the population is somewhat removed by he
14 401, sort of separating the major population base
15 from the operation.

16 But I heard one of the young
17 engineers this morning say that he lives less than
18 five kilometres. I myself and my older children
19 use it for biking, cycling on the trails. So I
20 mean it's integrated into the community and more so
21 even in Pickering. And that degree of comfort and
22 the open communication that OPG tries to present --
23 and I'm not just here as some pony for OPG, I'm
24 saying that truly, my impression in public service
25 is that they're comfortable and quite happy as a

1 willing host community. And we're a rolling and
2 thriving area of the province of Ontario so it's --
3 every community has its challenges.

4 MEMBER BEAUDET: Thank you. Thank
5 you, Mr. Chairman.

6 CHAIRPERSON GRAHAM: Thank you,
7 Madam Beaudet. Mr. O'Toole, thank you very much
8 for your presentation this morning.

9 MR. O'TOOLE: Thank you for the
10 opportunity.

11 CHAIRPERSON GRAHAM: And good luck
12 in your endeavours.

13 MR. O'TOOLE: Right on. Thank
14 you.

15 CHAIRPERSON GRAHAM: The next
16 presenter -- the next oral statement, pardon me,
17 this morning is going to be Jaison Gibson and it's
18 listed here as the Blacklab and I think there's a
19 reason for that and maybe we'll hear the reason.
20 Anyway, Mr. Gibson, welcome and welcome your
21 general manager or assistant.

22 MR. GIBSON: My daughter, Matese.

23 CHAIRPERSON GRAHAM: Yeah, bring
24 the mike -- they don't pick up anything on the
25 transcript unless that little red light is on so we

1 want you to have -- maybe introduce your daughter
2 again so we'll have that.

3 --- PRESENTATION BY MR. GIBSON:

4 MR. GIBSON: For the record I am
5 Jaison Gibson and this is my daughter, Matese, and
6 we are both residents of Clarington. As I say, I'm
7 a father, I'm a farmer, I'm a previous active OPP
8 officer injured in the line of duty and I'm not
9 here representing the OPP. It's been a number of
10 years since my accident, but I took a life oath to
11 serve and protect and I still stand behind that as
12 an individual.

13 I live on a beautiful farm with my
14 family. It's a short distance away from here. We
15 have a nice stream that goes through. There hasn't
16 been hunting in 20 years. The animals are thriving
17 and we're thriving, however, there is a back
18 negativity to this. Both my parents have had
19 cancer. There's cancer around the neighbourhood
20 and there could be a number of reasons for this,
21 the spraying of crops, the nitrates, but also the
22 presence of OPG. But, you know, without OPG and
23 the electricity, our life wouldn't be as easy and
24 fulfilling as it is. And I thank them for that.
25 They've been running their operations, you know,

1 fairly smoothly for, like, the previous presenter
2 said, for 40 years.

3 However, there are a few things
4 that make me feel a little bit uneasy. I witnessed
5 the -- I guess it was the licencing renewal at the
6 Holiday Inn a few years ago for OPG. And the one
7 thing that keeps sitting in my mind is the previous
8 Chairman, I believe it was the previous Chairman,
9 said, you know, why does OPG have to be brought
10 into the 21st century kicking and screaming.

11 Now, that, as a citizen, doesn't
12 make me feel very confident that in the future
13 energy needs and waste storage are going to be met.
14 There's a big black eye in the nuclear industry and
15 it's called Port Granby and that's a short distance
16 outside of Port Hope and I think there's ongoing
17 problems with Port Hope. And to start a new build
18 with an ongoing problem and I guess seepage into
19 Lake Ontario, I can't imagine where we would get
20 our fresh water if that huge body of water is
21 contaminated?

22 And I can't imagine where I'd
23 rather live, if I had to leave. If I heard the
24 sirens going, if I was able to hear the sirens
25 going, where do we citizens go? And in fact,

1 accidents happen when you least expect that and
2 from my previous employment with the OPP, I can
3 attest to that. I wasn't prepared to be hit by a
4 car, but yet I was. I was following all the
5 procedures correctly and that is a big question as
6 a citizen, where do we go if something happens?

7 And I'd like very much for my
8 children to be able to raise their children on the
9 family farms and, you know, I'd like to provide
10 fresh food to the local people as best I can in a
11 way, by allowing them to share the farm. Since I
12 have been injured, I can't be a typical farmer so
13 I've been reaching out and I've been experimenting
14 and this is where the Blacklab part comes in.

15 Soon after my accident, I realized
16 that it's not enough just to rebuild yourself, you
17 have to rebuild what's around you. And taking a
18 good look at what's around, a lot needs to be
19 rebuilt. As far as energy goes, you know, nuclear
20 is probably a quick fix to get a mass amount of
21 electricity out to a great number of people.
22 However, it's a quick fix and it's easily
23 controlled.

24 I see greater opportunities for
25 more than just a few thousand people if we get into

1 solar. Farmers can harmonize that with growing
2 crops; there's a great many fields that are
3 available. There's no reason why these fields have
4 to be fenced off and it's just for solar. I think
5 that's a problem. We need to look at how we're
6 doing things and adapt and we have to adapt
7 quickly.

8 Now, as far as guaranteeing the
9 safety, we pretty much can't guarantee the safety
10 as a species for more than three years. I think
11 that's pretty much the warranties on a vehicle or
12 this or that. Thousands of years, I don't think
13 anyone in this room can really honestly say that we
14 can guarantee for thousands of years everything is
15 going to be fine. The world is changing. We as a
16 species need to change with it and we need to get
17 up to speed quickly.

18 Now, if there is going to be a lot
19 of money put into nuclear, my opinion is that
20 basically Clarington has become a nuclear
21 reservation in that we don't have a choice, but we
22 live on that reservation. So are we entitled to
23 some status to live in the shadow of this nuclear
24 potential threat if you look at what's happening in
25 Japan? You know, that is something in the back --

1 it should be on the back of every thinking person's
2 mind.

3 You know, we live in an age where
4 things are pretty extravagant. We have many, many
5 different forms of electrical appliances and much
6 of it is not really necessary for our basic needs
7 and it comes back to the individual. We have a
8 responsibility to not be so extravagant in the
9 future, not just only to conserve, but you know, to
10 cut back what we have and use things properly.

11 There's so many aspects; people
12 have two or three cars; they've got dishwashers;
13 they've got all these different things to
14 supposedly make life easier, but one mistake, one
15 incident and it's just too high of a price to pay
16 to leave our homes and never return. And that
17 cannot be guaranteed that it won't happen.

18 So I think that if there is going
19 to be major money put into this, it should be into
20 safety to make sure that as much as possible there
21 won't be the worse case scenario of everyone has to
22 leave. And it's interesting that even the sirens
23 that they have set up around the nuclear plant have
24 solar panels on them. You know, when a solar panel
25 breaks, people go to the store and buy another one

1 or they order another one. When a nuclear plant
2 breaks, and we've got to flee for our lives or move
3 out. And depending on what's occurred, come back,
4 hopefully, but you know that's just way too big of
5 a risk.

6 And I love where I live and I love
7 the people around me and it's just way too big of a
8 risk. And I'm sorry for repeating that, but it --
9 it is. When there's other options available, why
10 are we sticking to one of the most dangerous?

11 Like, I understand that they can
12 concentrate a lot of power into one method and get
13 it out, but if more farmers and more people were
14 able to utilize solar, and I -- I'm not a huge fan
15 of wind. Like everything we do as a species, we
16 like to go big, big, big, but maybe nature has the
17 answers. Leeds are probably the best solar
18 collectors. They're small and plentiful and they
19 trickle charge.

20 There probably won't be, you know,
21 a huge change from nuclear unless we will it, as a
22 people. We have to get behind it; put the proper
23 research and development into better battery
24 technology, better solar receptor technology, and
25 that will happen if there is a push to move that

1 way because there's a competitive edge to our
2 economy that if people are buying it, well, they
3 get better and more proficient about supplying it.
4 And that's what I hope comes from this hearing
5 here, is that at least a portion of this money will
6 seriously go towards renewable.

7 And the other thing is, we today
8 are the minority, the people alive today are the
9 minority. There's a never-ending wave of new
10 generations coming, and we can't just think it's
11 all about us. There has to be some real thoughtful
12 and long-term thinking done. You know, it would be
13 great for the economy to have \$30 billion put into
14 a project in Durham Region. No doubt, but in the
15 future we've got to think past that.

16 And if we can spread that out, you
17 know, farmers adding and harmonizing solar panels
18 into their operations, solar harvesting, every
19 structure we have basically needs to be future-
20 fitted. I like to use that word instead of
21 retrofitted. If we can future-fit everything, well
22 that's huge. That's a billion dollar industry
23 waiting to happen. All the trades people working
24 on every structure that exists.

25 But other than that, you know, I

1 love this community and I want what's best for it,
2 and I know there's a lot of other people too that
3 want what's best, you know.

4 And perhaps we need to be electing
5 more accountable officials that are really in tune
6 with the community, not just lobbying for big
7 business and the corporate interests.

8 Thank you very much.

9 CHAIRPERSON GRAHAM: Thank you
10 very much for your oral presentation, oral
11 statement and your sincerity.

12 Now to go to questions from panel
13 members.

14 Mr. Pereira?

15 --- QUESTIONS BY THE PANEL:

16 MEMBER PEREIRA: Thank you, Mr.
17 Chairman, and thank you for that presentation and
18 your concerns, and identifying ways forward with
19 that commitment to mega-projects or projects which
20 you perceive to be risky.

21 We did have officials from the
22 Ontario Ministry of Energy here yesterday, talking
23 about the rationale that they had for seeking a mix
24 of renewables, conservation, and nuclear. And
25 their planning going forward nuclear is --

1 continues to be a major part of the -- what they
2 plan for generation of electricity in the years
3 ahead.

4 They're certainly looking forward.
5 They are looking at renewables and conservation and
6 energy efficiency, which are all points that you
7 bring up.

8 So as far as this panel is
9 concerned, we're looking at the proposal to have a
10 nuclear generating facility and to see whether that
11 would have a significant impact on the environment
12 and, if it does, what can be done to minimize that
13 impact.

14 But the points that you make are
15 very valid ones, and many other the intervenors
16 have made the same point. They're concerned about
17 accidents and about risk to health and to the
18 environment, all of it.

19 Thank you very much. Thank you,
20 Mr. Chairman.

21 MR. GIBSON: Thank you.

22 CHAIRPERSON GRAHAM: Thank you,
23 Mr. Pereira.

24 Madame Beaudet?

25 MEMBER BEAUDET: Thank you, Mr.

1 Chairman.

2 I think you bring an interesting
3 point in saying if something happens where do we
4 go?

5 We did have a session on accidents
6 and procedures to be followed in case of
7 evacuation, and one question was how many people in
8 transit centres, how many of them and for how long
9 they would stay, and they say about 20 percent
10 would not find friends or family that they could
11 move to.

12 When we look at the radiological
13 risks in normal operation -- and I'd like to go to
14 CNSC on that -- the requirement is always doses be
15 as low as reasonably achievable. But when you do
16 the review, there's a review guide that is called
17 "Effects of the Project on the Health and Safety of
18 Persons during Normal Operation", you look, there
19 are different criteria that you have to evaluate
20 the effect.

21 And you've mentioned on many
22 occasions that it should not exceed one
23 milliSievert, the annual equivalent dose. To skin,
24 should not exceed 50 milliSieverts.

25 I was wondering if you could go

1 over that because one of them is the annual
2 equivalent dose of the lens of the eyes does not
3 exceed 15 millisieverts. There are different
4 aspects here in this document that we haven't
5 covered. We've done it more in the general
6 fashion, but I don't know if you have the document
7 here with you, but I'd like to review with us the
8 four criteria that you do for the evaluation,
9 please.

10 DR. THOMPSON: Patsy Thompson, for
11 the record.

12 We don't have the document, but
13 these criteria appear to be taken from the
14 Radiation Protection Regulations, and the Radiation
15 Protection Regulations set different limits
16 depending on the sensitivity of various organs or
17 tissues to radiation.

18 And, for example, the limits to
19 the lens of the eye are to protect against damage
20 such as cataracts that happen at fairly high doses
21 of radiation, whereas limits to workers, for
22 example, the one millisieverts limit and the 50
23 millisievert for workers is to protect against the
24 probability of developing cancer.

25 So the limits are set to protect

1 different tissues and different sensitivities.
2 Lens of the eye, the skin doses, are to prevent
3 effects that are referred to as deterministic, that
4 will happen for sure if you exceed a certain dose,
5 whereas the limits of one milliSievert for members
6 of the public and 50 milliSieverts are called for
7 probabilistic risk affects, so cancer and the
8 increased incidents of cancer with doses.

9 So those are the various criteria
10 that we have in place. But the most important
11 criterion is to keep doses as low as reasonably
12 achievable, and that is why members of the public
13 around Darlington, the public dose limit is 1
14 milliSievert, which is 1,000 microSieverts, but the
15 actual doses to members of the public are less than
16 10 microsieverts.

17 And similarly for workers, the
18 public -- the limit for workers is 50 milliSieverts
19 annually, and the average dose to workers is in the
20 range of natural background radiation.

21 MEMBER BEAUDET: Thank you.

22 Thank you, Mr. Chairman.

23 CHAIRPERSON GRAHAM: Thank you,
24 Madame Beaudet.

25 Thank you very much for coming.

1 Thank you for your sincere comments. Thank you for
2 bringing your daughter. Reminds me of a couple of
3 granddaughters I have roughly the same age and
4 haven't seen for three weeks and hopefully will see
5 them shortly.

6 So you're allowed the last
7 comment.

8 MR. GIBSON: Thank you.

9 One thing I forgot to mention, St.
10 Marys Cement, pretty much right beside, does heavy
11 blasting twice a week, which shakes. I used to
12 live temporarily in Aspen Springs, a rural -- or
13 not a rural -- a bedroom community right beside
14 both facilities, and the house would shake.

15 Now, what are the long-term
16 effects of that with the nuclear reactors there?
17 You know, it's something as a citizen, you know,
18 that's it's pretty -- pretty big if it shakes your
19 house, you know, and other people noticed that as
20 well.

21 And the other thing is, I feel
22 really, terribly bad for what's happened in Japan,
23 and I would never want that to happen here.

24 Thank you.

25 CHAIRPERSON GRAHAM: Thank you for

1 your comments.

2 With regard to St. Marys Cement,
3 several -- the panel has, through several
4 information requests, obtained further information
5 on their blasting, and also it's been discussed
6 here at least on two different occasions in the
7 last three weeks with regard to the effects and so
8 on.

9 So we're very much aware of that
10 and we're very much taking that in -- that aspect
11 also into our considerations when we do deliberate.

12 So thank you very much for coming,
13 and safe trip back, and good luck in your ventures
14 and to your daughter.

15 MR. GIBSON: Can I mention that
16 there's an event in the Beaches in Toronto at
17 Yoshi's Sweets. It's a fundraiser for the people
18 of Japan, and it's on Queen Street right in the
19 heart of the Beaches. It's on -- it'll be April
20 10th, Sunday.

21 Thank you.

22 CHAIRPERSON GRAHAM: Thank you
23 very much for that information.

24 The next oral presentation is
25 Stephanie Rutherford.

1 Stephanie, would you come forward,
2 please?

3 --- PRESENTATION BY DR. RUTHERFORD:

4 DR. RUTHERFORD: Good morning.

5 For the record, my name is Dr. Stephanie
6 Rutherford, and I'm a professor in Environmental
7 and Resource Studies at Trent University.

8 I want to thank you for the
9 opportunity to present my views to the panel. And
10 also I know it's probably been a long three weeks,
11 and I will attempt to be brief.

12 I am not representing Trent
13 University with my views here today, but the fact
14 that I am a professor matters very much to my
15 presentation because a large part of the reason
16 that I asked to be an intervenor is because I teach
17 courses in environmental studies to a new
18 generation of students.

19 One of my courses is environmental
20 politics and policy, which is clearly relevant to
21 these proceedings.

22 But more importantly for what I
23 want to say here today, is the fact that I also
24 teach environmental ethics.

25 In my reading of the Environmental

1 Impact Assessment, there is clearly a good degree
2 of politics and policy, but I would call on the
3 panel to consider the ethical dimensions of the
4 Darlington new build as well. Something that, in
5 my view, should be part of the EIA process, but is
6 often neglected.

7 It is on this issue that I will
8 focus my comments.

9 The ethical issues that are
10 embedded in OPG's Environmental Impact Assessment,
11 quite frankly, disturbed me.

12 In my view, the impact assessment
13 is leaving out potential impacts. Specifically,
14 I'm concerned that OPG doesn't consider the long-
15 term impact of nuclear fuel waste that the new
16 reactors, particularly the design that uses
17 enriched uranium, will generate.

18 However, whatever the design of
19 the proposed reactors, the impact assessment does
20 little address how nuclear fuel waste will be
21 managed.

22 The answer provided by the EIA is
23 that the Nuclear Waste Management Organization will
24 be responsible for nuclear fuel waste, with the end
25 result being its deposit in a deep geological

1 repository as part of the accepted approach of
2 adaptive phase management.

3 Crucially, the NWMO persists with
4 this approach, although it has been rejected by
5 more and more jurisdictions as a safe option for
6 nuclear fuel waste disposal, most recently by the
7 Obama administration with reference to Yucca
8 Mountain.

9 The uncertainties associated with
10 disposal in this manner, particularly with
11 generation III reactors that were not part of the
12 NWMOs consultation, are inherently problematic.

13 Even if we accept that APM is an
14 acceptable solution to current stores of nuclear
15 fuel waste, producing more and potentially more
16 damaging wastes should not be part of this
17 management plan.

18 Uncertainties abound. Are there
19 any new risks associated with this fuel waste? How
20 will they be managed by NWMO? And what will all of
21 this cost?

22 These are the medium-term
23 questions that OPG fails to address in their
24 Environmental Impact Assessment.

25 If we simply look at this case for

1 deep geological deposit in Northern Ontario, the
2 approach that NMWO [sic] favours, the ethical
3 issues surrounding it are immediately apparent.

4 That Northern Ontario, in
5 particular First Nations populations, should be
6 asked to take nuclear fuel waste into their
7 communities represents an entrenchment of a
8 longstanding system of environmental injustice.

9 Those who have benefitted the
10 least from the provision of energy from Darlington
11 will be asked to pay the most in terms of the
12 potential for catastrophic accidents.

13 This is certainly not considered
14 among the potential impacts associated with the
15 Darlington new build as outlined in the
16 Environmental Impact Assessment.

17 And yet it is exactly this kind of
18 deliberation, asking deeper questions about who
19 benefits from and who pays for environmental harm,
20 that should be the basis of this process in Ontario
21 as it was with the EIA's precursor, Justice
22 Berger's decision on the Mackenzie Valley Pipeline
23 Project in 1974.

24 But I also think that we can frame
25 the issue of nuclear fuel waste in another way but

1 we, as Ontarians, would leave this potentially
2 toxic legacy to subsequent generations without
3 adequately attempting to forestall its possibility
4 seem, not only unwise but patently unethical.

5 Too long have we foregrounded the
6 short-term politics of convenient energy generation
7 rather than dealing with the fact that we need to
8 re-imagine the provision of energy, from the mining
9 of resources through to its transmission via an
10 inefficient grid. We have a real opportunity to do
11 something different, to be more forward-looking in
12 how we think about and provide energy.

13 However, the fact that there is no
14 possibility to discuss the alternatives to nuclear,
15 especially wind and solar, immediately limits the
16 conversation that can be had around Darlington.

17 Why is a discussion of what might
18 be safer, cheaper, and the use of -- and greener
19 technology completely excluded?

20 Moreover, there's no real
21 articulation of how conservation might fit into
22 this question.

23 If, as the Ontario Government has
24 emphasized, conservation "is a vital part of the
25 plan for our sound energy future", then why doesn't

1 it factor into a discussion of the presumed need
2 for additional power that the Darlington new build
3 would provide?

4 To ignore both of these
5 alternative approaches, which together would likely
6 achieve Ontario's energy needs in a less harmful
7 way, would seem to violate not only the spirit but
8 also the requirements of the EIA process.

9 Moreover, to alleviate one
10 environmental problem by creating another seems to
11 be poor planning.

12 I refer here to the notion that
13 nuclear power is green, the saving grace that
14 climate change needs.

15 While I agree that nuclear is
16 cleaner, at least in terms of greenhouse gas
17 emissions from tailpipe while certainly not in the
18 mining, transport and processing of uranium that
19 eventually goes into the reactors, it is cleaner in
20 some sense than nuclear -- than coal-fired power
21 plants.

22 I would recommend that we need to
23 be a little bit more imaginative.

24 This does not have to be a Coke or
25 Pepsi debate, if you will.

1 Instead, the EIA process should be
2 open to considering the full range of possibilities
3 for energy provision in Ontario.

4 But what the OPG EIA does by
5 excluding the possibility of talking about
6 alternatives is hamstring energy provision in
7 Ontario, tying it to an expensive and harmful
8 technology for at least the next 30 years.

9 First Nations' wisdom tells us to
10 consider the seventh generation, to contemplate the
11 impacts the decisions we make now will have on
12 those who are to come in the future. This is a
13 kind of intergenerational responsibility, a longer
14 view of the legacy our decisions will have.

15 If we take the notion of seventh
16 generation seriously, we must consider more than
17 what the EIA suggests.

18 The impacts of storage of nuclear
19 waste and the effects of tying our energy future
20 only to nuclear are central to this kind of
21 analysis.

22 Unfortunately, the way OPG has
23 conducted this environmental assessment confines
24 our ability to ask these sorts of questions and in
25 doing so, to some degree, limits the possibility

1 not only of a more sustainable economy but an
2 environment as well.

3 In conclusion, I ask the panel to
4 require OPG to consider all the potential impacts
5 associated with the Darlington new build.

6 As such, I request that the
7 application for a licence be denied until OPG can
8 answer these pressing questions, particularly
9 around the provision of safe storage and disposal
10 of the nuclear fuel waste that Darlington will
11 produce and what the potential is for replacing the
12 Darlington new build with alternative forms of
13 energy and/or conservation measures.

14 With this, I respectfully submit
15 my request to the panel.

16 Thank you.

17 CHAIRPERSON GRAHAM: Thank you
18 very much.

19 I'll go directly now to panel
20 members.

21 Madame Beaudet?

22 --- QUESTIONS FROM THE PANEL:

23 MEMBER BEAUDET: Thank you, Mr.
24 Chairman.

25 We had interventions underlining

1 the ethical aspects of this project. There's one -
2 - well, of course, especially regarding to waste
3 but also to the liability of the operations in case
4 there's an accident.

5 Many have brought forward the fact
6 that the *Liability Act*, the amount is not
7 sufficient. And others have said that it should be
8 the polluter that pays.

9 And I'd like to hear a bit more of
10 your comments on that, please.

11 DR. RUTHERFORD: Thank you for the
12 question.

13 I mean, I think certainly to echo
14 the sentiments from some of the earlier speakers as
15 well that any kind of consideration around
16 questions of liability or nuclear fuel waste or
17 however -- you know, whatever the risks are
18 associated with nuclear, needs to take into account
19 the precautionary principle and the polluter pays
20 principle, and that these should be entrenched
21 across environmental legislation, and it should be
22 something that is sort of de rigueur. You know, it
23 should be the basis of how we make these kinds of
24 decisions.

25 And so I would certainly suggest

1 that the polluter pays model needs to be greatly
2 enhanced.

3 Does that answer your question?

4 MEMBER BEAUDET: Thank you.

5 Thank you, Mr. Chairman.

6 CHAIRPERSON GRAHAM: Mr. Pereira?

7 MEMBER PEREIRA: Thank you, Mr.

8 Chairman.

9 Just carrying on on that polluter
10 pays concept, in the case of the nuclear waste, we
11 have informed from the -- or information presented
12 to us that Ontario Power Generation and all of the
13 other operators of nuclear power reactors required
14 under the *Nuclear Fuel Waste Act* to set aside
15 segregated funds for eventual
16 long-term management of fuel waste.

17 And they are required to do this
18 over a period of time, so that provision is made
19 for the estimated cost of managing the waste, the
20 disposal concept, so this is already in place and
21 so that -- that's based on the concept of disposal,
22 but until that concept is approved, the fuel waste
23 is likely to be held on site at the Nuclear
24 Generating Facility.

25 In terms of the consideration of

1 other options, we did have the Minister --
2 Ontario -- Assistant Deputy Minister here yesterday
3 talking about the considerations in going for an
4 energy mix. And I don't know whether you were
5 involved in providing input because there was some
6 consultation that the Ontario Ministry of Energy
7 did in developing this strategy and so that -- that
8 is a consideration that's gone on before.

9 As far as this panel is concerned,
10 we're looking at the environmental impact of the
11 nuclear generation -- generation option, so we take
12 your input, your comments and we'll consider them
13 in arriving at our conclusions from our review in
14 preparing our report. Thank you.

15 CHAIRPERSON GRAHAM: Thank you,
16 Mr. Pereira. And thank you, Dr. Rutherford, for
17 your presentation this morning and as all oral
18 statements or interventions and so on, the panel
19 takes everyone into consideration, I assure you,
20 before we come to a final conclusion. Thank you
21 very much.

22 The next on agenda is Mr. Bill
23 Donnelly. Mr. Donnelly, would you come forward,
24 please? I have Crosby Dewar Inc. is in brackets,
25 so, yeah, fresh water there, so help yourselves.

1 And, as I've said, speak directly into the mic and
2 slowly, so the translators can -- can pick it up.
3 Thank you very much. The floor is yours.

4 --- PRESENTATION BY MR. DONNELLY:

5 MR. DONNELLY: Thank you. Good
6 morning. My name is Bill Donnelly and this is
7 Clayton O'Brien. We are here to represent Crossby
8 Dewar Inc. A Canadian owned, Ontario based company
9 that is a service provider to the nuclear industry.

10 Our company has participated in
11 the construction, maintenance and refurbishment of
12 Ontario's nuclear fleets since the 1960s. We are
13 an employer of over 600 Ontario Residents and have
14 an excellent reputation for safety and quality.
15 The continued success of our company and the
16 stability of our employees and their families are
17 directly linked to the future of the Ontario
18 nuclear industry.

19 I'm here today to give you a
20 contractor's point of view on the importance of
21 Darlington new-build to the future of Ontario.

22 Why building in Darlington be as
23 good for Ontario? The most obvious reason is that
24 our existing power generation infrastructure is
25 aging. This combined with future growth will

1 require that additional generating capacity is
2 attained and nuclear is still the most practical
3 option for Ontario's base load needs.

4 The development of alternative
5 power generation will continue to be an important
6 factor in our future energy mix, but the land
7 requirements and capacity factors of these
8 technologies prohibit them from being a practical
9 base load in Ontario at this time, but there
10 are -- but there are many less obvious reasons why
11 we should build Darlington B.

12 It will allow Ontario to continue
13 to benefit from the nuclear industry. How do we
14 benefit? As a province involved in nuclear power
15 generation, we gain the benefit of global
16 expertise, innovation and continuous process
17 improvements that would not be possible in other
18 industries.

19 Ontario's nuclear plants are
20 subject to audits and peer reviews from
21 international organizations that look at the best
22 practices of nuclear operators worldwide.

23 OPG's plant managers and senior
24 staff are members of these audit teams and they
25 participate in the assessment of nuclear facilities

1 around the globe. The knowledge and experience
2 gained from these reviews, lead to constant
3 improvements in the operation and maintenance of
4 nuclear facilities.

5 The knowledge and experience
6 gained through this global expertise finds its way
7 into other sectors of our province. As a
8 contractor, I'll give you the example that I'm most
9 familiar with.

10 I can tell you firsthand that
11 nuclear leads the way when it comes to safety. Not
12 just in plant operation, but also in construction
13 and maintenance activities.

14 Contractors and workers brought
15 into OPG's nuclear facilities to provide services
16 go through extensive training. Individuals are
17 taught skills and behavioural habits that are
18 effective in reducing injury and accidents.

19 Supervisors attend the most
20 rigorous training of all. They learn superior
21 skills in techniques that enable them to properly
22 plan work, identify hazard and manage the
23 behavioural habits of the workers.

24 Compare the safety performance of
25 building trades that perform work in both nuclear

1 facilities and the general construction industry
2 and you'll see the difference.

3 Conventional hazards are identical
4 in both industries including working at heights,
5 hoisting and rigging, electrical contact and
6 operation of equipment.

7 The difference is how safety is
8 managed. The performance of each sector is the
9 proof. The Ontario construction industry average
10 since 2000 is 5.6 fatalities per 100,000 workers.

11 The nuclear industry has had zero
12 fatalities in that same period, which includes two
13 major refurbishment projects, Pickering A return to
14 service and Bruce A restart involving multi --
15 major multi contract to work forces.

16 Crossby Dewar achieved 2.5 million
17 hours without a loss time injury on the Pickering
18 Project. And proudly we are approaching four
19 million hours without a loss time injury on the
20 Bruce Restart Project. This is a major milestone
21 for our organization.

22 When it comes to all injury rate,
23 that is medical attention and loss time injuries
24 combined, the nuclear industry performance is
25 approximately one tenth of the industry average.

1 As an example, Crossby Dewar's all
2 injury rate over the last three years is .68
3 injuries per 200,000 hours worked. While the
4 general construction industry has -- as a whole is
5 6.64 injuries per 200,000 hours worker.

6 How does this impact Ontario
7 outside of the nuclear plants? Well, these same
8 contractors, supervisors and workers also perform
9 work in our industrial, commercial and
10 institutional industries.

11 Skills, safety programs and work
12 habits are transferred to these other industries
13 effectively and continuously raising the safety
14 performance across the province. Excuse me.

15 Why building in Darlington be as
16 an opportunity for Ontario? High-skill,
17 High-paying jobs in a high-growth industry with
18 limited competitors.

19 The recession and cheaper labour
20 sources in emerging economy such as China and India
21 have greatly reduced Ontario's manufacturing
22 sector. Global population growth and emerging
23 economies will continue to increase demand for
24 power generation. Environmental concerns such as
25 global warming and economic concerns through supply

1 and demand will continue to necessitate a
2 transformation from our dependency on fossil fuels.

3 The land requirements and capacity
4 factors make solar and wind impractical in many
5 regions of the globe. We have to conclude that
6 nuclear power will play an ever increasing role in
7 the global supply mix.

8 We must recognize the opportunity
9 that has been presented to us by past generations
10 of Canadian and Ontario nuclear workers. We are a
11 supplier of the nuclear technology that has a
12 globally proven track record of safe and efficient
13 operation dating back to almost half a century.

14 The CANDU design is regarded as
15 one of the safest in the world. The recent events
16 in Japan will put even more emphasis on the need
17 for reactor designs with redundancy and depth in
18 their safety systems.

19 Governments depending on nuclear
20 power generation to meet their forecast demands
21 will be looking for the safest designs with proven
22 safety performance to instill confidence in their
23 citizens.

24 The global nuclear renaissance is
25 providing us with an opportunity to create

1 high-paying, highly skilled jobs for Ontario
2 residents, but this will require AECL to be
3 successful at capitalizing on export opportunities.

4 The future of AECL, along with
5 Ontario substantial nuclear industry is intertwined
6 with the construction of Darlington B.
7 Consideration must be given to maintain Ontario's
8 nuclear knowledge and expertise developed over the
9 last decade. At the onset of the Pickering
10 refurbishment there was a shortage of nuclear
11 experienced engineers, construction managers and
12 tradesmen as a major nuclear project had not been
13 undertaken since the construction of Darlington.

14 The Pickering and Bruce
15 refurbishments and the efforts to design the
16 ACR1000 have developed a substantial nuclear
17 qualified workforce for our generation. Expediting
18 the Darlington units would provide the workflow
19 required to maintain this workforce; not building
20 Darlington D -- sorry B, we'll find much of this
21 expertise leaving Ontario for other opportunities
22 and negate much of the time, effort and financial
23 resources expanded by Ontario Power Generation,
24 AECL and the Ontario contractors involved for
25 preparing for preparing for this project.

1 This is a defining moment for
2 Canada's nuclear industry. We must show the
3 potential foreign buyers of our technology that
4 Ontario embraces low-cost, low-emission nuclear
5 power generation and that we have confidence in our
6 home-grown reactor design. We must continue
7 Ontario's legacy of safe and efficient nuclear
8 power generation and continued involvement in the
9 nuclear supply chain to ensure we leave our future
10 generations the same opportunities that preceding
11 generations provided for us. Thank you.

12 CHAIRPERSON GRAHAM: Thank you
13 very much, Mr. Donnelly. We'll now go to panel
14 members for questions. Madam Beaudet?

15 --- QUESTIONS BY THE PANEL:

16 MEMBER BEAUDET: Thank you, Mr.
17 Chairman. Thank you for your presentation and
18 bringing up the figures about the number of
19 accidents and the different industries, the
20 comparison of the different industries. I think it
21 was interesting.

22 I'd like to come back though on
23 one item you're brought in front of us, saying that
24 wind power isn't practical in most parts of the
25 globe and that you feel nuclear power generation

1 will increase in the future.

2 MR. DONNELLY: I personally
3 believe it will increase. Ontario's blessed with a
4 vast area where we have the land resources to put
5 up the solar panels and the wind power, and we
6 should continue to do that. But due to the amount
7 of land that is required and the capacity factors,
8 because it's not always windy; it's not always
9 sunny, they don't make for a good base load option.
10 I believe there's other parts of the globe that
11 don't have the same resources that Ontario has as
12 far available land so that is what I meant by that
13 comment.

14 MEMBER BEAUDET: Thank you. Thank
15 you, Mr. Chairman.

16 CHAIRPERSON GRAHAM: Thank you,
17 Madam Beaudet. Mr. Pereira?

18 MEMBER PEREIRA: Thank you, Mr.
19 Chairman. And thank you for your presentation.
20 You do present some very impressive numbers of
21 safety rates in terms of work on site. Are there
22 any concerns that your employees have about working
23 in a nuclear environment? Is that a thing that
24 comes up in your discussions with your staff?

25 MR. DONNELLY: The employees'

1 concerns are usually -- you'll find the concerns
2 when they first come to work at a nuclear plant.
3 And once they go through the OPG training on the
4 radiation protection, they're very clear in the
5 training about what the effects of radiation will
6 do, and how to protect yourself from the
7 consequences of that. And it -- it makes the
8 employees confident then that they're -- they have
9 the proper protection to go on and do the work.

10 What we usually find with
11 employees who -- that have -- they're new into the
12 nuclear industry and they're coming from other
13 industries, is it's almost more of a concern to get
14 them into the safety culture of working at a
15 nuclear facility. They see a lot of times the
16 safety controls as barriers to getting a job done
17 and I used to, in my training, I would refer to
18 these statistics and make them realize that the
19 safety procedures are what gets you home at night
20 safely.

21 MEMBER PEREIRA: Thank you. And
22 in your response you referred to the safety
23 culture. Could you say -- tell us a bit more about
24 what you see as essential elements of that culture
25 that helps ensure the safe outcomes?

1 MR. O'BRIEN: Clayton O'Brien
2 responding to that question. Some of the cultures
3 taught to me over the 20 years of being in the
4 industry, some of the core principles taught to
5 every employee entering OPG, are conservative
6 decision-making; star principles; stop, think, act
7 review; safety basics, like questioning attitude,
8 procedural adherence; three-way communication;
9 proper planning. If you're unsure, back out, ask
10 questions, don't rush into anything; do it right
11 the first time. That's some of the cultures that
12 are taught from OPG to all contractors coming in
13 there.

14 MEMBER PEREIRA: Thank you very
15 much. Thank you, Mr. Chairman.

16 CHAIRPERSON GRAHAM: Thank you
17 very much, Mr. Pereira. And to you, Mr. Donnelly
18 and Mr. O'Brien, thank you very much for coming
19 this morning and giving us your oral statement in
20 which, as I've said before, the panel reviews all
21 oral statements, all interventions and all --
22 everyone that's involved before making a decision.
23 Thank you very much and have a safe trip.

24 Is Mr. Dundas -- is he here from
25 the Leeds Country Observer? If he's not, we will

1 remove that from the record because that was an
2 oral statement for this morning. And before we
3 adjourn for lunch, I want to say that the first on
4 the agenda this afternoon will be Dr. Thompson with
5 her presentation or her follow-up from her
6 undertaking. And then we will go to the regular
7 ones, which I think Green Party of Ontario is the
8 next one. So with that I declare it lunch hour and
9 the Chair resumes at 1:30. Thank you very much.

10 ---Upon recessing at 12:27 p.m.

11 ---Upon resuming at 1:30 p.m.

12 MS. MYLES: Good afternoon
13 everyone. My name is Debra Myles and I'm the panel
14 co-manager. Welcome back to the last session of
15 this part of the public review hearings for the
16 Darlington New Nuclear Power Plant project.

17 Secretariat staff are available at
18 the back of the room. Please speak with Julie
19 Bouchard if you're scheduled to make a presentation
20 today and have not already spoken to Julie. Please
21 speak to Julie as well if you want permission of
22 the Chair to put a question to a presenter that is
23 making an intervention. Opportunities for
24 questions are subject to the availability of time.

25 Please identify yourself each time

1 you speak to make the transcripts as accurate as
2 possible. And as a courtesy to everyone in the
3 room, please silence your cell phones and other
4 electronic devices. Mr. Chair.

5 CHAIRPERSON GRAHAM: Thank you
6 very much, Debra, and good afternoon everyone.
7 Before we go to the first presenter, I believe Mr.
8 Howden, you and Mr. Newland have a short
9 clarification or short statement with regard to one
10 of the undertakings.

11 MR. HOWDEN: Yes, Barclay Howden
12 for the record. It's undertaking number 16, which
13 is to provide a comparative analysis of hot and
14 cold plume releases which are representative of
15 nuclear accidents. So Dr. Newland is going to
16 provide a bit of information on that and then we
17 will be submitting a written -- more fulsome
18 written undertaking. So Dr. Newland.

19 DR. NEWLAND: Thank you, Mr.
20 Howden. Dave Newland for the record. As part of
21 OPG's environmental impact statement and licence to
22 prepare a site application, analysis was performed
23 to examine the possibility -- of the possible off-
24 site consequences of a severe accident. In doing
25 this analysis and looking at the results, it is

1 important to keep in mind the overall objective of
2 this analysis, which is to demonstrate that the
3 off-site emergency planning provisions are in place
4 are compatible with the potential consequences of
5 such severe events.

6 So first of all, I'll outline the
7 conservatisms that have been incorporated into the
8 baseline analysis. The underlying analysis employs
9 a number of modeling assumptions to ensure that the
10 predictions are conservative and appropriate for
11 emergency planning. So the selected event is one
12 of very low frequency of between one and 100,000
13 years and one in one million reactor years. The
14 largest possible radioisotope inventory is used,
15 the plan parameter envelop limit is and EPR core,
16 the largest core, at the maximum permitted burn-up.
17 And that maximizes the radioisotope inventory.

18 No credit is taken for onsite
19 mitigation as would be expected in a real event.
20 There are severe accident management guidelines.
21 Fourthly, it was modeled as a continuous three-day
22 plume. No off-site protection actions were assumed
23 to take place, such as sheltering or evacuation.
24 And finally, the doses were calculated for the most
25 critical group, and were calculated over a period

1 of seven days.

2 In addition there were two other
3 key assumptions that were used that are not
4 necessarily conservative. The first is that it was
5 a cold release. In other words, it was a release
6 at ambient temperature conditions. And secondly,
7 mean meteorological conditions were used.

8 So Environment Canada made some
9 observations with respect to meteorological
10 effects, specifically the possibility or the impact
11 of a hot plume, and the fact that there could be
12 shoreline fumigation effects. And so CNSC took
13 this undertaking to work with Environment Canada
14 and OPG to provide a sensitivity analysis.

15 So hot plume -- plumes were
16 considered at temperatures of 100 and 300 degrees
17 Celsius. Shoreline fumigation was considered, and
18 more conservative weather conditions were
19 considered in OPG's analysis.

20 The sensitivity analysis was
21 performed for the small release frequency rather
22 than for the large release frequency because it is
23 the small release frequency that sets the
24 requirements for the short time off-site evacuation
25 response.

1 So I'll just briefly summarize
2 what the -- what the results of the analysis are.
3 So for both the -- the baseline, the hot plume and
4 the fumigation sensitivities for the lower
5 protective action limit, the evacuation response is
6 the same. In other words, evacuation would be
7 required out -- up to two kilometres. And at the
8 higher protection action limit there would be no
9 action required.

10 In addition OPG did some analysis
11 of what they refer to as 95th percentile
12 predictions, and for that one for the lower
13 protective action limits, there would be a
14 requirement to evacuate out to three kilometres,
15 and so there was an increase there. And at the
16 higher PAL there could be a requirement to evacuate
17 up to one kilometre.

18 So the results of the analysis
19 show that the off-site response is relatively
20 insensitive to the plume temperatures used, and
21 that shoreline fumigation at those plume
22 temperatures was not a consideration.

23 It is recognized that these
24 sensitivities are examples and that others could be
25 selected such as hotter plumes and other weather

1 patterns that could produce different variances.
2 So while high temperature plumes could be possible,
3 these would be expected to be of limited duration
4 and would not contribute significantly to the
5 three-day plume because of that.

6 It is also recognized that other
7 localized weather patterns such as plume trapping
8 could also occur, producing localized radiological
9 effects. While such effects are possible, the
10 effects are not expected to have a significant
11 impact on the overall emergency evacuation plans,
12 given the many other conservatisms that have been
13 employed in the analysis.

14 So in final conclusion, the
15 analysis to date is sufficient for this point in
16 the project to demonstrate the suitability of the
17 site. At the time of a licence to construct when
18 the technology is defined we could require further
19 analysis to support the emergency planning
20 assumptions. Thank you.

21 CHAIRPERSON GRAHAM: Thank you
22 very much, Mr. Newland. And if there's no
23 questions, then we will start today's presentation,
24 this afternoon's. And we have as the first one,
25 the Green Party of Ontario, under PMD 11-P1.170.

1 And the submission has been filed, and Mr.
2 Schreiner, the leader of the Green Party of
3 Ontario. The floor is yours. Welcome.

4 --- PRESENTATION BY MR. SCHREINER:

5 MR. SCHREINER: Thank you. I
6 appreciate the opportunity to be here. Chairman
7 Graham and members of the Joint Panel, and all
8 participants today, I appreciate you giving the
9 Green Party of Ontario the opportunity to present
10 our views on the new reactors at Darlington.

11 I especially want to acknowledge
12 and thank all members of the Joint Review Panel for
13 the time and effort you've put into these hearings.
14 It is an important public service.

15 Green Parties around the world
16 have in part emerged out of our concerns for the
17 health, safety and environmental consequences of
18 nuclear power. As leader of the Green Party of
19 Ontario, I certainly share these concerns. I'm
20 also deeply concerned about the significant
21 financial costs of nuclear power and the
22 inflexibility of nuclear generated electricity.
23 All of these concerns could have profoundly
24 negative consequences for our economy, our
25 communities and our quality of life.

1 I'm also concerned about the scope
2 -- that the scope of these hearings do not consider
3 alternative ways of meeting Ontario's long-term
4 energy needs. As a result I do not believe that
5 the panel has adequate information to assess the
6 financial economic environmental health and safety
7 costs associated with the proposal to build new
8 nuclear facilities at Darlington. How can we
9 properly plan without an open transparent and
10 comprehensive examination of all costs, risks and
11 alternatives. It can't be done, and Ontarians
12 deserve better.

13 At this very moment Ontario is in
14 the middle of its planning process. As you know
15 the province has never completed an integrated
16 power system plan. Although a draft long-term
17 energy plan was introduced in 2010, the Ontario
18 Power Authority must still develop a formal plan
19 and have it approved by the Ontario Energy Board.
20 I believe it is premature to proceed with an
21 environmental assessment until the planning process
22 is completed. Alternatives have been fully
23 explored, and the need for new reactors clearly and
24 transparently demonstrated.

25 I empathise with you, Mr. Chairman

1 and members of the panel, for you have a difficult
2 job and you're being asked to perform it with one
3 hand tied behind your back. If I were in your
4 shoes I would find this unacceptable. Indeed it is
5 my understanding that you've instructed Ontario
6 Power Generation to provide an analysis of
7 alternatives, and I hope this is done in an open
8 and transparent and comprehensive way.

9 The Ontario Green Party believes
10 that the province needs a long-term sustainable
11 energy plan that will provide a safe and affordable
12 and reliable source of energy with the flexibility
13 to adapt to emerging technologies.

14 The proposed new nuclear reactors
15 at Darlington will not achieve these objectives.
16 Instead, this proposed project will lock Ontario
17 into an expensive, inflexible form of energy
18 generation and will undermine efforts for
19 conservation efficiency in Ontario's growing
20 renewable market.

21 Given the colossal time and cost
22 overruns associated with every nuclear power
23 project to date in Ontario, the Green Party
24 believes it is irresponsible to invest in new
25 nuclear generation at this time. In fact, Ontario

1 electricity ratepayers are still paying for the
2 massive cost overruns from previous nuclear
3 installations.

4 In 1999, the Ontario government
5 broke Ontario Hydro into five companies. In order
6 to keep Ontario Power Generation solvent, a \$30
7 billion stranded debt was transferred to the
8 Ontario Electricity Financial Corporation; \$19.4
9 billion of this debt was related to the unfunded
10 liabilities associated with the cost overruns and
11 poor performance of Ontario's nuclear power plants.
12 We continue to pay this debt on our electricity
13 bills. As a matter of fact, we have paid almost
14 \$20 billion to service Ontario's nuclear debt, yet
15 we still owe almost 15 billion. Nuclear power has
16 proven to be a poor financial investment.

17 Despite claims by the nuclear
18 sector that they have learned from past mistakes,
19 the current refurbishment at Bruce Nuclear
20 Generating Station is once again way over budget
21 and behind schedule. The current situation at
22 Bruce repeats Ontario's historical experience with
23 nuclear energy. On average, the real cost of
24 Ontario's nuclear projects have been 2.5 times
25 greater than the original cost estimates. As a

1 small business owner turned politician, I think I
2 can safely say that no business owner or investor
3 would put their money into a technology that in its
4 history has never delivered on time or on budget.

5 Right now there is a cloud hanging
6 over these very hearings due to the cost associated
7 with the new reactors at Darlington. The minister
8 of energy in June of 2009, indeed, postponed the
9 procurement process for the new reactors at
10 Darlington when he experienced sticker shock at the
11 \$26 billion price tag for the proposed two new
12 reactors. As a result, the province has passed the
13 buck, asking the federal government for additional
14 subsidies to fund the project.

15 Given the current uncertainties
16 surrounding the future of Atomic Energy of Canada
17 Limited and the uncertainty around the procurement
18 process, I believe it is premature to proceed with
19 these hearings. Further complicating the cost
20 issue is the lack of sufficient data for
21 decommissioning costs, waste disposal, containment
22 costs, and liabilities associated with accidents.
23 This, combined with the uncertainty of construction
24 costs, has led to wide variances in cost estimates
25 for generating electricity using nuclear reactors.

1 In surveying estimates from a
2 range of sources, including Moody's Investment
3 Services to the Ontario Clean Air Alliance, I've
4 seen cost estimates ranging from 15 cents a
5 kilowatt hour to 37 a kilowatt hour while
6 acknowledging that the OPG and the Ministry of
7 Energy suggests lower costs at eight cents a
8 kilowatt hour. At this point, we simply don't know
9 and we won't know until all costs are internalized
10 into the price we pay for nuclear-generated
11 electricity. I don't believe this project should
12 proceed without an independent assessment of all
13 costs associated with nuclear power.

14 If this project does proceed, two
15 important cost considerations should be taken into
16 account. One is the polluter pays principle as it
17 relates to liability. The Green Party believes
18 that the federal nuclear liability legislation
19 should be changed, removing the \$75 million cap on
20 -- for nuclear. In doing so, we can ensure that
21 the nuclear industry lives by the very important
22 principle that institutions should be held
23 responsible for their actions.

24 Second, we believe that the
25 province of Ontario must protect our pocketbooks

1 with a legislated guarantee prohibiting OPG from
2 passing cost overruns on to ratepayers and
3 taxpayers. By doing these two things, we could at
4 least put other forms of power generation on a
5 financially even playing field with nuclear power.

6 The Green Party believes it's
7 essential to explore alternatives to nuclear.
8 Nuclear is an inflexible supplier of baseload
9 power, requires billions in capital investments,
10 and needs a long time to deploy. This means that
11 nuclear makes it difficult for Ontario to adjust to
12 changes in demand, to use renewable sources of
13 power, or to take advantage of more affordable
14 forms of power generation that will emerge from
15 innovative new advances in technology. Committing
16 billions to new nuclear also decreases incentives
17 for less expensive options such as conservation and
18 energy efficiency.

19 Given how important this is, I
20 would like to explore some alternatives with you
21 because, fortunately, there are less costly, less
22 risky and more sustainable ways to meet our
23 electricity needs.

24 The lowest cost option is to
25 invest in energy efficiency and conservation.

1 Energy efficiency and conservation should be the
2 top priority in any financially responsible long-
3 term energy plan. Demand reduction is far more
4 cost effective and financially responsible than
5 constructing new capacity.

6 Since the summer of 2006, our peak
7 demand for electricity has fallen by seven percent
8 and it is forecast to fall by a further six percent
9 in 2011. Ontario has consistently over-estimated
10 demand and Ontario residents, to their credit, have
11 consistently exceeded conservation targets, yet our
12 electricity consumption per person is still 35
13 percent higher than neighbouring New York State.

14 Clearly, we have a huge untapped
15 potential to reduce demand by aggressively pursuing
16 energy efficiency and conservation and at a cost of
17 2.3 to 4.6 cents a kilowatt hour, energy efficiency
18 and conservation provides the best bang for our
19 buck, helping reduce our hydro bills by decreasing
20 demand and, at the same time, significantly
21 reducing the amount of money needed to invest in
22 new generating capacity. Conservation and energy
23 efficiency provides sustainable long-term savings.

24 That said, Ontario will need new
25 sources of generating capacity and there are

1 affordable alternatives to new nuclear.
2 Hydroelectricity, for example, is a less expensive,
3 reliable and clean source of power. Ontario can
4 immediately negotiate hydro imports from Quebec.
5 Current transmission capacity between Ontario and
6 Quebec could displace up to 75 percent of the power
7 expected from the Darlington rebuild, for example,
8 at approximately one-third the price.

9 Last year, Hydro Quebec's exports
10 to the United States exceeded the total output of
11 our Pickering nuclear generating station.
12 According to the *National Energy Board Act*, Ontario
13 has the right to import electricity from Quebec at
14 the same price that Americans are paying; however,
15 our imports from Quebec are minimal. This doesn't
16 make sense. Furthermore, Ontario could and should
17 explore completing grid connections to Manitoba, in
18 addition to expanding our capacity with Quebec, to
19 create an east-west corridor that will facilitate
20 the availability of inexpensive hydro imports.

21 Ontario also has additional hydro
22 resources that should be explored within the
23 province. The last independent electricity system
24 operator plan that was suspended anticipated 3,000
25 to 5,000 megawatts of additional hydro capacity in

1 Ontario. These sources are not contained in the
2 most recent draft long-term energy plan and should
3 be considered.

4 Another low-cost option to meet
5 our electricity needs is to simply stop wasting
6 natural gas. Most large buildings and factories in
7 Ontario use natural gas to provide heat. Instead
8 of allowing waste heat to flow unused up our
9 chimneys, why not use it to provide two services,
10 heat and electricity, known as combined heat and
11 power. Combined heat and power plants can have an
12 overall energy efficiency of 80 to 90 percent,
13 which is much better than the 33 percent efficiency
14 of a nuclear reactor. As a result of their very
15 high efficiency, combined heat and power plants can
16 meet our electricity needs at a cost of
17 approximately 6 cents a kilowatt hour.

18 Depending on whose numbers you
19 trust, this is approximately less than one-third of
20 the projected cost of generation from new nuclear
21 reactors.

22 Additionally, with prudent
23 investments in capacity, transmission, grids,
24 storage, technology, and research, Ontario could
25 generate all of its extra energy needs from other

1 renewable resources.

2 This approach provides more
3 flexibility, security, and avoids expensive
4 investments in new nuclear.

5 A number of alternatives,
6 including biomass, biogas, wind, solar, landfill
7 gas, present Ontario residents, businesses, and
8 communities with a range of renewable options that
9 can be appropriate to meet their energy, economic,
10 and environmental needs.

11 Renewables provide a great
12 opportunity to transition Ontario's energy system
13 from one that is top down, bureaucratic, and
14 centrally managed with a few large generating
15 plants to one that is vastly more distributed with
16 a variety of producers, both large and small,
17 supported by a modern smart grid transmission
18 system.

19 Moving to a decentralized
20 distributed system presents the opportunity to
21 democratize energy generation in Ontario and create
22 a system where all Ontarians have an opportunity to
23 become self-sufficient green energy producers and
24 entrepreneurs.

25 This will not happen in Ontario if

1 we lock ourselves into large scale centralized
2 nuclear generation.

3 In addition to the financial
4 burden that new nuclear will place on Ontario
5 ratepayers and taxpayers for years to come, nuclear
6 energy has serious consequences for our health,
7 safety, and environment.

8 And I know the panel has heard
9 about these risks from knowledgeable and qualified
10 scientists and experts.

11 So consequently on this topic, I
12 just want to say that I've had the opportunity to
13 meet personally with people whose lives have been
14 negatively affected by uranium mining, refining,
15 and enriching.

16 Beyond the very public tragedy
17 unfolding before us in Japan, many people quietly
18 live every day with the negative consequences of
19 our use of nuclear energy.

20 These risks need to be explored
21 and understood in a transparent and thorough
22 comparison with other forms of energy generation,
23 some of which I've suggested.

24 In addition, nuclear power creates
25 radioactive waste which is dangerous for hundreds

1 of thousands of years. There is no publically
2 accepted way of dealing with this waste. We are
3 merely punting the problem to the future, putting
4 it on to the backs of our children.

5 We are already seeing and
6 experiencing the problems with disposal as
7 exemplified by the controversy surrounding the
8 shipping of contaminated parts out of Bruce Nuclear
9 overseas through the Great Lakes.

10 With this in mind, I believe we
11 owe it to our children and future generations to
12 explore thoroughly all of the financial, economic,
13 environmental, health, and safety costs and risk
14 associated with building new nuclear generators.

15 This exploration must be conducted
16 in an independent, open, and transparent way that
17 compares nuclear power to all other options.

18 In conclusion, I believe it's time
19 for a safe, affordable, and responsible approach to
20 electricity generation that invests in the future,
21 not the past.

22 Building new nuclear is too
23 expensive, risky, and inflexible.

24 Given nuclear power's history of
25 financially irresponsible cost overruns and the

1 lack of public protection in the face of possible
2 catastrophe, the Green Party believes that
3 investing in new nuclear power is an inexcusable
4 and irresponsible allocation of public resources
5 and risk.

6 The proposed Darlington project
7 should not proceed without a full and thorough
8 public review and an assessment of all project
9 costs against other energy options.

10 For all these reasons, I request
11 that OPG's proposal to build additional reactors at
12 Darlington be rejected.

13 Thank you for your time and
14 consideration of my remarks.

15 CHAIRPERSON GRAHAM: Thank you
16 very much for those remarks.

17 And we'll now go directly to panel
18 members, and I'll go first to Madam Beaudet.

19 --- QUESTIONS FROM THE PANEL:

20 MEMBER BEAUDET: Thank you, Mr.
21 Chairman.

22 I have a few points that you have
23 brought before us to look at.

24 The ministry -- the Ontario
25 Ministry of Energy has done a consultation on the

1 long-term plan.

2 And we had an intervenor yesterday
3 that went onsite and counted how many intervenors
4 there were. And for her, she felt that decision
5 cannot be taken on about 345 people.

6 So I'd like to hear from you. I
7 think people have very busy lives, and these are
8 complex issues.

9 How do you see another
10 consultation, as you said, regarding all the
11 technologies?

12 There has been already an
13 opportunity to do that.

14 MR. SCHREINER: There certainly
15 has been an opportunity for comment on the long-
16 term energy plan. It was actually a very short
17 time frame, if you'll recall.

18 I don't have the exact dates in
19 front of me, but I believe the proposed plan was
20 introduced in November of 2010, and the comment
21 period closed in early January of 2011.

22 So I think a more thorough
23 consultation process would have had a longer window
24 of opportunity and would have conducted public
25 hearings around the province because, as you know,

1 the plan is an \$87 billion plan that has
2 significant implications for the future of this
3 province. And I think a wider consultation would
4 have been appropriate on that plan.

5 Additionally, as you know, the
6 plan hasn't been reformulated into an integrated
7 system plan to go before the OEB yet. So it does
8 seem a bit premature to be holding these hearings
9 until that plan is completed.

10 MEMBER BEAUDET: We're not doing a
11 consultation on energy policy here. We're
12 reviewing a project. And so I was trying to --

13 MR. SCHREINER: Sure.

14 MEMBER BEAUDET: -- to understand
15 where you are situating us.

16 MR. SCHREINER: Yeah, sure. I
17 appreciate that.

18 Would you like me to respond to
19 that or --

20 MEMBER BEAUDET: Yes, please.

21 MR. SCHREINER: Sure.

22 I think it puts you in a
23 challenging situation. And I don't want to speak
24 for you obviously. But I would think it would put
25 me in a challenging situation in your position to

1 make a decision on this particular project not
2 knowing how it fits into a larger plan particularly
3 when there are other options available. And it
4 would seem appropriate to me to be able to explore
5 the economic, the environmental, the health, the
6 safety risks associated with all of those options
7 when making a decision on this particular project.

8 MEMBER BEAUDET: And I believe
9 that's what we're doing with all the interventions
10 we had in the last three weeks.

11 MR. SCHREINER: Right.

12 MEMBER BEAUDET: The second point
13 is about the liability associated with accidents.

14 And you said that -- and other
15 intervenors have mentioned it also -- that 65
16 million is not sufficient, and we should remove the
17 cap. But your other position talks about polluter
18 pays principle.

19 And I'd like to hear a little bit
20 more. If the liability is not with the taxpayers,
21 how do you consider that, you know, the companies,
22 like other industries, should pay for any damage;
23 is that what you mean?

24 I'd like to hear a bit more of
25 your comments on that, please.

1 MR. SCHREINER: Sure, yeah.

2 So other forms of power
3 generation, so whether it's wind or solar or
4 biomass or gas or what have you, carry liability
5 insurance.

6 Nuclear isn't required to. So it
7 makes it much more challenging to, one, assess risk
8 because I would make the case that probably some of
9 the best people, the most qualified people to
10 assess risk in the world are people in the
11 insurance sector. That's what they do for a
12 living.

13 And so with other forms of power
14 generation, they're able to assess risk, and that
15 risk is paid for through their insurance.

16 Because the nuclear industry is
17 not subject to the same requirements to carry
18 liability insurance, that risk is placed on to the
19 backs of taxpayers, essentially, and I don't think
20 we have an adequate system for assessing that risk.

21 And I think a more -- it would be
22 a more even playing field to compare nuclear to
23 other forms of power generation if all of those
24 costs were internalized in the process.

25 MEMBER BEAUDET: I would like to

1 go to OPG on that and ask for their comments,
2 please?

3 MR. SWEETNAM: Albert Sweetnam,
4 for the record.

5 The *Nuclear Liability Act* talks
6 about the potential -- how you deal with the
7 potential effects of an accident that impacts off
8 site.

9 On site, for our equipment, our
10 site, our staff, we carry our own liability
11 insurance that actually covers everything that's on
12 site. Off site, there is a \$75 million limit under
13 the Act that we would be responsible for.

14 At present, there is a bill that
15 was going through the House in its second hearing,
16 Bill C15, which envisages the change from 75
17 million to 650 million. And OPG has spoken at the
18 committees in Ottawa in support of this change, so
19 we would support the higher change.

20 Unfortunately, the election was
21 called and the bill never went through, so our
22 position is that we support the change and the
23 liability from 75 to 650.

24 MEMBER BEAUDET: Thank you.

25 Thank you, Mr. Chairman.

1 CHAIRPERSON GRAHAM: Thank you
2 Madam Beaudet.

3 Mr. Pereira?

4 MEMBER PEREIRA: Thank you, Mr.
5 Chairman.

6 Many intervenors have brought up
7 the points you have raised considering alternatives
8 and different strategies in place of nuclear
9 generation and nuclear power.

10 As Madame Beaudet has noted and
11 you perhaps know, the Assistant Deputy Minister of
12 Energy was here yesterday.

13 MR. SCHREINER: Okay.

14 MEMBER PEREIRA: And we talked
15 about many of these alternatives. And coming out
16 of that discussion, Ontario Power Generation and
17 the Minister of Energy are going to provide more
18 information on consideration of alternatives, which
19 would then be input to our environmental
20 assessment.

21 But in his discussion, he talked
22 about the options of hydroelectric connections to
23 Quebec, to Manitoba, and also to Newfoundland.

24 MR. SCHREINER: Right?

25 MEMBER PEREIRA: And what were the

1 issues that, you know, impact on a decision to go
2 those routes. There are certain considerations
3 there. He also talked about renewables and how
4 renewables are considered energy efficiency
5 initiatives.

6 And a number of these options that
7 you present, you presented more information of what
8 went into the Ministry of Energy's decisions on
9 energy mix. So that might be useful for you to
10 look at, the transcripts, because that would
11 perhaps indicate how far the province has gone in
12 trying to go down that alternative route.

13 And on balance, then, the decision
14 he made -- they made -- was that they would stick
15 with 50 percent nuclear for now.

16 You did make a comment on the cost
17 of decommissioning and waste, long-term management
18 of waste. As you may probably know, the operator's
19 nuclear generating stations are required to fund up
20 front the cost of decommissioning and management of
21 waste. And that is a condition of the licences
22 that they hold, and segregated funds have been set
23 up to fund those costs.

24 And so there is a provision for
25 coverage of those costs. And those, from what

1 we've understood from information provided by the
2 CNSC, those costs are revisited -- cost estimates
3 are revisited at a certain period of -- related to
4 licence renewal, perhaps about ever five years
5 depending on the license and the cost, the
6 segregated funds increased based on current
7 understanding of what the challenges are and to
8 take account of inflation.

9 So a number of the issues that you
10 raised have been addressed and we have received
11 information that we can consider in conducting our
12 environmental assessment review for the proposal to
13 build new nuclear reactors.

14 And that's what we're looking at,
15 the environmental impact of a proposal and
16 application from Ontario Power Generation to build
17 new nuclear reactors. Thank you.

18 Thank you, Mr. Chairman.

19 MR. SCHREINER: But if I could
20 just respond, I think it's fantastic that you're
21 having the opportunity now to explore some of these
22 alternatives and I think it's -- I commend you for
23 asking OPG to provide that information.

24 CHAIRPERSON GRAHAM: Thank you,
25 Mr. Pereira.

1 I'll go to the floor -- no, first
2 of all, I'll go to -- yes, the floor and I'll ask
3 OPG if they've any questions?

4 MR. SWEETNAM: Albert Sweetnam,
5 for the record.

6 No questions. Thank you.

7 CHAIRPERSON GRAHAM: CNSC?

8 DR. THOMPSON: Patsy Thompson,
9 similarly no questions. Thank you.

10 CHAIRPERSON GRAHAM: Thank you.

11 Government agencies, which I don't
12 see any this afternoon. Environment Canada are
13 here? Oh, yes.

14 MEMBER PEREIRA: But they have no
15 questions.

16 CHAIRPERSON GRAHAM: No, you don't
17 have any questions? Fine.

18 Okay, then we'll go to the floor.
19 And Brennain Lloyd, Ms. Lloyd of Northwatch, you
20 have the first question?

21 --- QUESTIONS BY THE PUBLIC:

22 MS. LLOYD: Thank you, Mr. Graham,
23 Brennain Lloyd from Northwatch.

24 Just as a point of information
25 before my question, I've noticed that the panel has

1 interest in the long-term energy plan
2 consultations, and just as detailed for the record,
3 the consultation period was November 23rd to
4 December 7th -- sorry, to January 7th, which was 45
5 days including the Christmas holiday.

6 It was preceded by an online
7 survey. I know we filed our response in September
8 2010. I am not aware of efforts on the part of the
9 Ministry of Energy to engage the public in those.

10 We found the one by our regular
11 monitoring of the Environmental Bill of Rights
12 Registry and the second by another interested party
13 sending us an email to alert us of the online
14 survey.

15 We certainly did participate in
16 both of those opportunities. As I know a number of
17 other intervenors have, although you haven't asked
18 many of the ones who I know, in fact, did
19 participate. So just following up on your
20 interest.

21 My question is further to the
22 presenter's comments about nuclear waste and
23 concerns about its long-term management. And I
24 wanted to follow up on a comment by Canadian
25 Nuclear Safety Commission.

1 On day 11, CNSC made a comment
2 which by my listening didn't really follow from the
3 previous presentation, but they made a remark that
4 -- stating that ion exchange resins are not
5 incinerated at the Western Waste Management
6 Facility.

7 I haven't been able to find a
8 description of ion exchange resins anywhere in the
9 evidence, so I'm wondering if the CNSC could share
10 with us their source for that statement and if that
11 referenced document could be either identified or
12 added to the record?

13 CHAIRPERSON GRAHAM: Thank you
14 very much, Ms. Lloyd.

15 Mr. Howden, do you ---

16 MR. HOWDEN: Barclay Howden
17 speaking.

18 That was from information provided
19 by our waste specialist. I'd have to ask them for
20 that reference. That was from their knowledge,
21 unless OPG has that information handy.

22 CHAIRPERSON GRAHAM: OPG, do you
23 have any -- can you clarify this or make an answer,
24 Ms. Swami?

25 MS. SWAMI: Laurie Swami, for the

1 record.

2 We will have assessed the wastes
3 that are possible from our operations in the waste
4 technical support document, but I believe that the
5 conversation that took place, as I understand day
6 11, was with respect to the ongoing operation of
7 our incinerator at the Western Waste Management
8 Facility, and that facility is both -- it will have
9 a certificate of approval under the Ministry of
10 Environment, but it is also regulated by the CNSC
11 and there are specific waste acceptance criteria
12 that are established for the various streams that
13 we have.

14 And so that would be the reference
15 that I believe that the CNSC would have been aware
16 of.

17 CHAIRPERSON GRAHAM: Some
18 clarification, Mr. Howden.

19 Is it a document and if it -- that
20 you could undertake to provide? Could you give us
21 a little clarification?

22 MR. HOWDEN: Barclay Howden
23 speaking.

24 I'll have to check with our waste
25 folks on whether it's drawn from a particular

1 document. I think they were speaking from their
2 experience of doing inspections at the site, so
3 I'll have to check on that.

4 CHAIRPERSON GRAHAM: So to
5 expedite this, I'm going to give it an undertaking,
6 Undertaking Number 78.

7 And if it isn't a document, then
8 CNSC will tell us that and give us the references
9 which they spoke from. If it a document, we'll get
10 it as an undertaking.

11 CHAIRPERSON GRAHAM: Is that all
12 right, Ms. Lloyd?

13 MS. LLOYD: Thank you, Mr. Graham.

14 I think there are two points to
15 this. One is OPG hasn't described their management
16 of this part of the waste stream in their evidence.

17 Two is CNSC has made to date an
18 unsupported statement about that component of the
19 waste stream. There is -- you know, there is --
20 there are reports available in the public domain
21 around ion exchange resin management, including
22 incineration, including peer review documents, IAE
23 documents, I think that we need to have supporting
24 documents available if Mr. Howden's remark is to
25 remain on the record.

1 CHAIRPERSON GRAHAM: We'll clarify
2 that, ask Mr. Howden when he -- with this
3 undertaking -- to clarify what documents are
4 available and what can be done, and they'll check
5 the transcripts of what you're saying today and
6 what you're asking today and see if that can be
7 followed up.

8 Do you have another question?

9 MS. LLOYD: A-11, page 189.

10 CHAIRPERSON GRAHAM: Thank you
11 very much.

12 MS. LLOYD: Thank you.

13 CHAIRPERSON GRAHAM: I'm going to
14 ask you just to stay there for a second if Mr.
15 Schreiner doesn't mind.

16 You had -- or my understanding was
17 that you had asked for some information early on in
18 the process and you haven't got it yet.

19 Now, I just want to say that if it
20 is referring to undertakings, we're not going any
21 further because we've given our ruling on
22 undertakings. But my understanding is from my Co-
23 manager here that it is not that, that it is in
24 reference to a document that Ms. Swami had referred
25 to and so on.

1 Would you clarify that and maybe
2 put your question to see if we can get that
3 resolved, since this is coming near the end and we
4 want to get things cleaned up?

5 MS. LLOYD: Yeah, that's right.
6 Thank you, Mr. Graham.

7 You might recall back on day two
8 when there were presentations being made that --
9 around the vulnerability of the proposed new
10 nuclear power plant to extreme natural
11 disturbances.

12 And the presentations made by the
13 agencies and the Proponent focused very much on
14 seismic events. And we had asked some questions
15 with respect to other extreme weather events,
16 natural disturbances, particularly tornadoes and
17 hurricanes.

18 Ms. Swami referred me to Document
19 105 in the registry. I looked at that. That was
20 the licence to prepare the site, and then I looked
21 at the -- the next document down was the nuclear
22 safety considerations which was one of the
23 supporting documents. The next document down was
24 with respect to site boundary considerations. That
25 was, I believe, on day four.

1 CEAA staff assisted by providing
2 that document because I hadn't been able to locate
3 it in the registry, and I was also referred to the
4 updated plant parameter envelope.

5 I've reviewed all of those
6 documents. I find references to tornadoes, a
7 single reference -- two single references to
8 hurricanes. I don't find the fulsome discussion
9 that I think is required, that I think you need to
10 have in front of you, about the vulnerability of
11 the facilities to those extreme weather events.

12 And I think there are two factors
13 -- and this goes back to our discussions, day two,
14 three, four -- around both the resilience of the
15 operation in the face of those extreme weather
16 events and the reliability of the essential power
17 services. And those discussions -- I could detail
18 for you what I did find.

19 CHAIRPERSON GRAHAM: No, I think
20 we're okay.

21 MS. LLOYD: I didn't think you'd
22 like that.

23 CHAIRPERSON GRAHAM: And I think
24 Madame Beaudet would because I know that we have
25 had -- when IRs were being prepared and so on,

1 there was considerable discussion.

2 So, Madame Beaudet, would you like
3 to just clarify that because I believe we have a
4 lot of that information?

5 MEMBER BEAUDET: In the documents,
6 "Licence to Prepare a Site", there's some documents
7 that are part of the submission and also additional
8 documents and supplementary documents.

9 And OPG can confirm that, but
10 there has been -- there's a section or a document
11 within this list that refers exactly to flood
12 protection and studies of extreme weather, et
13 cetera.

14 I don't know if you have the exact
15 number, but the Secretariat also could provide you
16 with that reference. But we do have -- received a
17 document regarding that aspect.

18 CHAIRPERSON GRAHAM: I'll ask the
19 Secretariat to try and work with Ms. Lloyd to see
20 if we can get the clarification that Madame Beaudet
21 is referring to because, as I say, I remember very
22 distinctly that it was done, so we'll try and
23 assist you.

24 And OPG, I guess, do you want to
25 make another comment, Mr. Sweetnam?

1 MR. SWEETNAM: Albert Sweetnam,
2 for the record.

3 Before we address the issue on
4 tornadoes, just to add some clarity to the previous
5 question on the resins. We have included the ion
6 exchange resins in our nuclear waste management TSD
7 and it's mentioned in several sections; in section
8 1, in section 3 and section 4. That's one
9 clarification.

10 The other clarification is the
11 comments made about the province's consultation on
12 the long-term energy plan.

13 For clarity, there were public
14 stakeholder and online consultations that were
15 conducted from September 21st to November 18th. This
16 included 40 stakeholder sessions and over 2,500
17 online responses. And after that, on -- the long-
18 term energy plan was issued in draft on November
19 the 23rd for a 45-day posting during which the
20 public, again, had the opportunity to comment.

21 On the tornado issue, I'll ask Dr.
22 Dr. Jack Vecchiarelli to address this.

23 DR. VECCHIARELLI: Jack
24 Vecchiarelli, for the record.

25 Just to provide the reference for

1 the fulsome discussion regarding tornadoes and
2 other meteorological hazards, since you found -- or
3 since reference has been made to the Nuclear Safety
4 Considerations Report, I'll refer the intervenor to
5 Reference 5 in the Nuclear Safety Considerations
6 Report, which is the reference to the Part IV site
7 evaluation document concerning evaluation of
8 meteorological hazards.

9 CHAIRPERSON GRAHAM: Thank you,
10 OPG. Thank you, Ms. Lloyd.

11 MS. LLOYD: If I'm recalling the
12 right part of that document, I think what it
13 discusses is the probability, not the consequence.

14 And I think it's an 8.7 tornado is
15 estimated per year and I don't recall the
16 hurricane. I think the hurricane, there was a
17 reference to an NRC document and there was a
18 reference to Hurricane Hazel and that was it for
19 the hurricane or tropical cyclone discussion.

20 CHAIRPERSON GRAHAM: Mr. [sic]
21 Vecchiarelli, would you like to clarify a little
22 further and then we'll have to go on to another
23 questioner.

24 DR. VECCHIARELLI: Jack
25 Vecchiarelli, for the record.

1 So just to clarify, we've
2 identified that a Fujita Scale 4 tornado is
3 something that would be considered appropriate as a
4 design basis threat to the site, and that would be
5 considered in greater detail in the construction
6 licence stage and it is part of the plant parameter
7 envelope, it's bounded for Fujita Scale 4 tornado.

8 And so the main point is that the
9 new build designs are expected to withstand at
10 least an F4 tornado and that is captured as a
11 bounding magnitude tornado in the plant parameter
12 envelope.

13 CHAIRPERSON GRAHAM: Thank you,
14 Ms. Lloyd.

15 MS. LLOYD: I was aware of that,
16 we'll leave it at that. Thank you.

17 CHAIRPERSON GRAHAM: Thank you
18 very much. We've tried to accommodate you wherever
19 we can.

20 The next questioner is Mr.
21 Haskill.

22 MR. HASKILL: My name is Sanford
23 Haskill and I represent FARE, and a citizen of
24 Norththumberland County.

25 I'd like to make a few statements

1 and you've let other people have verbal diarrhoea
2 and I would like that afforded to me at this time.
3 And I have a question when I'm done, sir.

4 As you know, I think you will get
5 the understanding that I say what I think, and this
6 time I'm talking from the heart within me and not
7 where the plutonium is.

8 Mr. Chairman, I'd like to thank
9 you for getting this building for us to have this
10 hearing in. It's been a fabulous facility; whoever
11 is responsible I would like to thank them for that.
12 I've been to a number of hearings, as you know, and
13 I think this is even better than the 13th floor on
14 Slater Street.

15 I would also like to thank the
16 staff of the CNSC and CEAA and these ladies behind
17 me. They've been wonderful to us. We may not have
18 liked their answers, but at least they tried to
19 accommodate the people. And I would like on behalf
20 of all the intervenors, which I've talk with a
21 great number of them, we would like to thank you or
22 whoever is responsible for this.

23 And I'd like to thank OPG for
24 their presentations. I don't think they were well
25 enough prepared, but that's their responsibility

1 not mine. And, again, I want to thank you on
2 behalf of all the people.

3 The only one criticism I have,
4 there is no public transportation to this building,
5 and we had Mr. O'Toole and Mayor Foster here and I
6 think they're God in this area and there's no
7 reason why they can't get the Go Bus to stop out
8 here every hour so that the people can get here and
9 we would have more people here.

10 Now, I will get to my question, sir, and thank
11 you for letting me suffer through that.

12 I'm not clear on the procedure you
13 three people are going to make. Are you going to
14 meet, just you three, to come up with a decision or
15 is OPG, CNSC and CEAA going to be with you when
16 your decision-making is going on?

17 CHAIRPERSON GRAHAM: Well, the
18 process -- and I have some closing remarks, but the
19 process is not finished yet by any means.

20 We are giving intervenors 20 days
21 or 25 days -- 20 days to respond to what they've
22 heard, after all of the or after most of the
23 undertakings are in. Those will be sent to us, we
24 will meet on that.

25 We are going to meet with OPG and

1 the CNSC on the security issues because that is a
2 big part, we have to meet with them and then we
3 will decide the next steps.

4 But the process is, is to wait
5 until the undertakings are finished then go and
6 give the time period required by intervenors who
7 want to give closing comments -- I guess that's the
8 word I'm looking for, and then after that we will
9 review those, along with other things.

10 But in no way we are closing the
11 door on any of the process until we feel, and my
12 colleagues are comfortable, that we have all of the
13 information we require to then start working on a
14 decision.

15 MR. HASKILL: Thank you.

16 A further question, Mr. Chairman,
17 at what date, roughly, would you figure your
18 decision will be rendered?

19 CHAIRPERSON GRAHAM: I can't
20 answer that. We're not even there yet, this 17
21 days or whatever it's been, is part of the process.
22 We've been at it 18 months so far and I really
23 can't answer when the panel will issue its report.

24 MR. HASKILL: But would you think
25 it would be within two months, you must have some

1 idea?

2 CHAIRPERSON GRAHAM: Once we close
3 the record, which we're not there yet, then we have
4 90 days to write a report.

5 MR. HASKILL: That's what I wanted
6 to hear.

7 CHAIRPERSON GRAHAM: I wasn't
8 following.

9 But we are not near ready to close
10 the record. And then we will have a report; we
11 submit that to the Government of Canada, the
12 Minister responsible, and they will make their
13 decisions on that.

14 MR. HASKILL: And could I ask one
15 further question?

16 CHAIRPERSON GRAHAM: Yes.

17 MR. HASKILL: Where or is it
18 possible to appeal your decision?

19 CHAIRPERSON GRAHAM: You may --
20 there's always a way to appeal but we haven't made
21 a decision yet so I don't -- you can't appeal it
22 yet because we haven't made up our mind.

23 MR. HASKILL: I'm waiting -- I
24 wanted to know if and when you do make up your mind
25 is there some -- talk to your gentleman beside you

1 there -- I guess I'll call him ---

2 CHAIRPERSON GRAHAM: There's the
3 Federal Court, always -- the court of last resort
4 is the Courts of Canada, so the Federal Court. So
5 yes there is always a way to do that.

6 MR. HASKILL: But there's no way
7 that you can appeal it without going to Court what
8 you're telling me?

9 CHAIRPERSON GRAHAM: We can always
10 review our decision if we want to as we go along
11 but really the ultimate end is the Federal Court.

12 I'd like to just change it a
13 little bit, just on one thing, one point you made.
14 My co-managers worked very closely with the Mayor
15 of Clarington here and Mr. Foster was the one that
16 brought the co-managers back a long time ago.

17 We were looking -- we wanted to
18 meet in this area, we wanted to meet in Clarington
19 because that's the host community and we needed
20 enough room to accommodate in the manner that I
21 wanted to conduct these hearings, we wanted to do
22 it in such a way that everyone was comfortable.

23 Other than the transportation this
24 was really the only facility that was available and
25 to Hope Fellowship for making this available, I

1 think there's -- a lot of credit has to go first of
2 all to the owners of the building but my co-
3 managers Ms. McGee and Ms. Myles and to the Mayor,
4 they worked out the details.

5 And it has worked out very well,
6 other than the transportation issue which I realize
7 -- we've heard about that before.

8 So thank you for your comments.

9 MR. HASKILL: And I applaud you
10 for doing that, sir, and God bless you back to New
11 Brunswick.

12 CHAIRPERSON GRAHAM: Thank you
13 very much, Mr. Haskill.

14 Mr. Kalevar, I think you have a
15 question?

16 MR. KALEVAR: Well, I will not
17 repeat what Mr. Haskill has said because it will
18 just take your time.

19 But I have two questions, if you
20 will permit; my question is, of course, to the
21 intervenor through you.

22 I'm Char Kalevar for Just One
23 World, for the record.

24 In Canada there must be at least
25 10 million cars and each car carries a liability of

1 about a million. Ten (10) million times a million
2 sounds like 10 trillion to me. So really the
3 liability for -- the nuclear liability should not
4 be 600-some million or something, it should be in
5 the neighbourhood of 10 trillion.

6 The liability of a nuclear plant
7 is more than the liability of all the cars in
8 Canada. That's what I'm basically saying.

9 And so I hope the *Liability Act* --
10 I'm asking now, through you to the ---

11 CHAIRPERSON GRAHAM: Your
12 question, that's all -- I'm just waiting for the
13 question.

14 MR. KALEVAR: Would Mr. Schreiner
15 support a liability of \$10 trillion for the nuclear
16 plants that are planned?

17 CHAIRPERSON GRAHAM: Mr.
18 Schreiner?

19 MR. SCHREINER: I would support
20 the insurance industry making that decision because
21 I think they're the most capable of making it,
22 rather than have it be a political decision which
23 is what it is right now and one of the reasons I
24 think it's so low.

25 CHAIRPERSON GRAHAM: Mr. Kalevar,

1 I think you had one other question?

2 MR. KALEVAR: Yes. And my second
3 question is; since yesterday the Green Book came
4 out with the carbon tax, when Green Party of
5 Ontario comes out with the Green Book will it
6 include tax on nuclear waste?

7 CHAIRPERSON GRAHAM: Mr.
8 Schreiner?

9 MR. SCHREINER: I'm not prepared
10 to answer that at this point but I'm happy to have
11 that conversation with you as we proceed through
12 that process.

13 Thank you.

14 MR. KALEVAR: I have written a
15 letter to the Chief of Police and the Chiefs of the
16 fire departments a few days ago, I haven't received
17 any reply, I would like to file this letter with
18 you ---

19 CHAIRPERSON GRAHAM: You file
20 that, yes, with the secretariat back there and
21 we'll review it. You can't file it with me -- with
22 the secretariat. If you have some information then
23 we'll put it on the web.

24 Thank you very much for your
25 questions and we appreciate -- always appreciate

1 your questions, Mr. Kalevar.

2 MR. KALEVAR: Thank you very much.

3 CHAIRPERSON GRAHAM: Now, I think
4 the last questioner is Ms. Lawson.

5 And somebody put their hand up,
6 maybe you'd file with the secretariat back there so
7 I know who is going to speak.

8 Ms. Lawson, do you have a
9 question?

10 MS. LAWSON: Thank you. Pat
11 Lawson.

12 This is a question for Mr.
13 Schreiner. Since the Ontario Environmental
14 Assessment Agency plays a huge role in this hearing
15 I wonder if you know, Mr. Schreiner, why there has
16 been no formal discussion, that I have heard, and I
17 have to back up and say, I've been able to come
18 here for five days only, out of the whole hearing
19 but I've never heard a proper discussion of
20 alternative means of supplying power, other than
21 going the whole nuclear route.

22 And I'm wondering if you know the
23 reason for this?

24 CHAIRPERSON GRAHAM: Mr.
25 Schreiner, over the period of time we have

1 discussed alternate means, I don't know if you
2 followed the process but if you would like to
3 respond. I'm not sure whether you can but if you
4 want to attempt it that's your prerogative.

5 MR. SCHREINER: I was just going
6 to say that I can't speak for the Ministry or any
7 of the Ministries on why that discussion has or
8 hasn't taken place, other than to say that I feel
9 that, at least, I presented some viable
10 alternatives for the panel to consider and for the
11 Ministries to consider.

12 Thank you.

13 CHAIRPERSON GRAHAM: We thank you
14 for that, Ms. Lawson.

15 MS. LAWSON: Thanks.

16 CHAIRPERSON GRAHAM: Thank you.

17 One more, and I don't have the
18 name, I apologize ---come to the phone --
19 microphone and identify yourself and --

20 MR. LEISTNER: Hi. I am Raymond
21 Leistner and I'm requesting that the calculations
22 be scrutinized carefully, in particular, the eight
23 cents per kilowatt hour estimate. I believe it was
24 based on an 85 percent capacity factor, which would
25 mean the reactor is operating at full-rated output

1 85 percent of the time. Fifteen percent would be
2 unscheduled and scheduled maintenance.

3 Yesterday I learned that when the
4 sun is shining or when the wind is blowing, these
5 reactors will actually be operating at a reduced
6 power; therefore, the 85 percent number is -- might
7 be in error. And if that number needs to be
8 reduced, then the price estimate of power must be
9 increased above eight cents per kilowatt hour, so
10 perhaps there are other errors in the calculations
11 that have been presented by people and they should
12 be carefully scrutinized.

13 CHAIRPERSON GRAHAM: Thank you.
14 I'll take that as to the Chair and that, yes, we
15 will. We are going to review all of the
16 information that's been provided to us. You talk
17 85 percent. Yesterday, there was an 80 percent
18 figure and then there was another percentage, so
19 these are all things that the panel will review as
20 we go along, so thank you very much for your
21 observation.

22 OPG would like to respond. Ms.
23 Swami, if you want to, go ahead.

24 MS. SWAMI: Laurie Swami for the
25 record. I -- I believe the intervenor was

1 referring to a conversation that we had with
2 respect to the refurbishment costs, at which time
3 we have estimated what the costs would be based on
4 a range of capacity factors and we have taken into
5 consideration a range. It's not just one number.
6 And the intent is to understand if it -- if it
7 could be higher or lower. And what I said was that
8 the -- we have a high confidence that after
9 refurbishment, the costs would be less than eight
10 cents per kilowatt hour. I didn't provide an exact
11 figure.

12 As we go through further cost
13 estimating that will be presented at the Ontario
14 Energy Board, all of those factors will be
15 considered going forward. So I think when
16 deliberating all of the costs that have been
17 presented, the costs that we present go forward to
18 the Ontario Energy Board, where that is examined in
19 detail.

20 CHAIRPERSON GRAHAM: Thank you
21 very much. Mr. Schreiner, thank you very much for
22 coming. Thank you very much for your participation
23 and your interest in these hearings.

24 The next two registered -- the
25 next two registered ones on my list are oral

1 statements and, as everyone knows, oral statements
2 are limited to 10 minutes and only questions from
3 the floor -- from the panel are permitted. And my
4 understanding is that Mr. Doug Anderson, I believe,
5 from the Durham CLEAR -- Durham CLEAR, which is the
6 Citizens Lobby for Environmental Awareness.

7 Mr. Anderson, welcome and the
8 floor is yours. As I've said -- maybe you've heard
9 me say it and I don't want to be repetitious.
10 Speak as close to the mike as possible and not too
11 fast for the benefit of the translation.

12 --- PRESENTATION BY MR. ANDERSON:

13 MR. ANDERSON: Well, thank you
14 very much for allowing me to speak to you today.
15 This is -- I must say, as -- as somebody else
16 previously said, this is a far cry from the
17 provincial environmental assessment process. This
18 is much better. You actually sound like you're
19 listening which is a -- which is a change.

20 As -- as I've been introduced, I'm
21 Doug Anderson. I'm the president of Durham CLEAR.
22 The reference in your thingamajig as -- as to the
23 definition of CLEAR, you left off the last word,
24 which is responsibility, so it's Citizens Lobby for
25 Environmental Awareness and Responsibility, and

1 that pretty well expresses our purpose and our
2 mandate.

3 The organization was formed fairly
4 recently because there was a need for a broadly-
5 based permanent environmental organization here in
6 Durham region. We -- we needed some -- an
7 organization which was in a position to react to
8 environmental issues as and when they arose. All
9 too frequently environmental fights are lost
10 because the structures that are necessary to
11 mobilize an effective fight are absent and by the
12 time citizens get organized, it is already too
13 late.

14 I have to admit that I have not
15 been following these hearings as -- as we have been
16 focused almost entirely on the garbage incinerator
17 -- sorry, it's an energy from waste incinerator
18 proposed just down the street. We consider that --
19 that incinerator a far more serious and much more
20 immediate threat to the health of Durham region
21 citizens.

22 Nuclear energy is a reality in
23 Durham region and has been for almost 50 years. In
24 that 50 years, the population has grown
25 dramatically and residents generally are clearly

1 unconcerned. Many of those residents work in the
2 nuclear industry. It's one of the largest
3 employers in the region and most of these people
4 are proud of their industry and think of it as
5 highly responsible from an environmental point of
6 view. Indeed, there are many environmentalists who
7 are pro-nuclear primarily on the basis that it does
8 not produce greenhouse gases.

9 There are few subjects which
10 divide people so starkly as nuclear energy, in
11 which people will cite the very same data to
12 support opposite views; thus, proponents will speak
13 of the very few serious accidents in the world as
14 evidence of how safe nuclear is versus the
15 opponents who will cite those same accidents to
16 show how dangerous it is. The same health studies
17 are used by both sides to prove opposite points of
18 view. It is virtually impossible to find anything
19 on nuclear energy that is free of bias.

20 Fifty years in though, it can be
21 said that the dire warnings from the anti-nuclear
22 lobby have, at the very least, been exaggerated.
23 Having said that, however, Durham CLEAR opposes any
24 new nuclear at Darlington for several reasons.

25 Whether existing nuclear plants

1 should be refurbished should be based on cost
2 effectiveness. If they can be replaced with
3 renewable sources of power for less than the cost
4 of refurbishment, then they should be shut down.

5 Our reasons for opposing new
6 nuclear are several. The first is need. We are
7 not convinced that there is a need for new nuclear.
8 New nuclear plants have been on the urgent to-do
9 list of the Ontario government for at least 20
10 years, but they keep getting pushed forward because
11 the urgency never materializes. Consumption of
12 power has not risen as fast as expected and has
13 actually levelled off and dropped in the last few
14 years.

15 The economic slowdown has been a
16 factor in this, but people and businesses have
17 discovered with the help of numerous government and
18 private programs that the cheapest power is the
19 power you don't use. Conservation works and there
20 is still huge amounts of power that we can save.

21 The apparent urgency for new
22 nuclear is driven in part by the decision of the
23 Ontario government to phase out coal power. We
24 strongly support this decision. The epidemiology
25 of coal power generation is very clear with

1 hundreds of premature deaths every year from the
2 air pollution-related diseases. The health effects
3 from coal power in Durham region are almost
4 certainly greater than from the two nuclear plants,
5 even though those coal plants are more than 50
6 miles away.

7 Air pollution is one of the major
8 reasons why we are so strongly opposed to the
9 garbage incinerator here. The emissions from that
10 incinerator will have a very similar profile to a
11 coal plant with the addition of dioxins and furans
12 which come from burning plastics. Clarington
13 already has one of the most polluted airsheds in
14 the province largely due to St. Mary's Cement,
15 which is right in this area as well.

16 So without coal or nuclear
17 incineration, where will our power come from? As
18 indicated earlier, we believe the need is
19 exaggerated, but, regardless, we believe that there
20 is ample opportunity to expand alternative non-
21 polluting energy sources like wind, solar, water
22 and some of the others that -- that Mike Schreiner
23 mentioned. I'm sure that you have heard numerous
24 submissions on these and I will not dwell on them.
25 They are -- the experts are -- are not with -- with

1 us.

2 The next -- the next reason we
3 oppose the -- the nuclear plants is cost. While
4 nuclear in the past was often portrayed as -- as
5 cheap energy, these -- this impression was -- was
6 driven by -- by a lack of including costs of
7 planning, construction, decommissioning, waste
8 disposal, and -- and the list goes on. Experience
9 indicates, however, that nothing is more expensive
10 than nuclear. The inability of the nuclear
11 industry to produce anything on budget or even
12 close is a huge concern. No industry other than
13 the military has a poorer record of cost overruns,
14 subsidies and bailouts, and that doesn't even cover
15 the still unresolved matter of disposal of nuclear
16 waste which governments will be responsible for
17 forever.

18 Our last concern is low-level
19 radiation. While we acknowledge the controversy on
20 this subject, we believe in the precautionary
21 principle. The human body has a certain capacity
22 to resist an unhealthy environment. We were
23 designed by natural evolutionary forces to live in
24 a world in which we are constantly exposed to a
25 range of environmental challenges, including

1 background cosmic radiation and numerous toxic
2 chemicals. These challenges damage our bodies and
3 we were given a finite capacity to repair that
4 damage. When we pass those limits, we get sick.

5 While the damage from chemical
6 pollution is different from radiation and it's
7 different again from infections from a host of
8 bacterial and viral agents, our resistance to each
9 is overlapping, and our susceptibility to fend off
10 any of these is affected by exposure to the others.

11 I know of no health studies that
12 look at the total toxic load from all sources and
13 the impact on health. Such studies would be
14 useful, and Clarington would be a good place to
15 start them because we have a great many challenges
16 here.

17 Many people in Durham Region are
18 at or near those toxic limits. Durham Region has
19 one of the highest levels of asthma in the
20 province, and while that is due to air pollution,
21 and it's doubtful that nuclear plants play any
22 direct role, these things are all additive. A
23 person who is unhealthy from asthma has less
24 resistance to disease from other sources.

25 We believe that the Ontario and

1 Durham Region need to recognize that nuclear energy
2 is a sunset industry. The recent events in Japan
3 have, once again, soured the public perception of
4 nuclear power and countries everywhere are
5 reconsidering their plans for new plants, and
6 Ontario should too.

7 The money that would have been
8 invested in a new nuclear -- new Darlington reactor
9 would be better spent on developing better
10 sustainable energy alternatives.

11 Thank you.

12 CHAIRPERSON GRAHAM: Thank you
13 very much for your comments.

14 Now, I'll go to panel members.

15 Mr. Pereira.

16 --- QUESTIONS BY THE PANEL:

17 MEMBER PEREIRA: Thank you, Mr.
18 Chairman.

19 I'll start with your comment on
20 health effects from multiple stressors, and not
21 just focusing on nuclear but focusing on other
22 toxic elements in the environment.

23 I wonder whether CNSC staff can
24 comment on that; whether there's been any work to
25 look at those aspects?

1 DR. THOMPSON: Patsy Thompson, for
2 the record.

3 There was a lot of work done when
4 research was being done on PCBs, dioxins and furans
5 and the family of chemicals in that group, and
6 models were developed to assess exposure to that
7 family of chemicals together, and risk factors were
8 based on the additivity of those exposures.
9 There's also some research that has been done for
10 multiple exposures to metals, for example.

11 One of the issues with conducting
12 or considering multiple exposures to chemicals from
13 a human health point of view is that not all
14 chemicals affect cells and organs in the same way,
15 and they don't all have the same endpoint. And so
16 care needs to be taken that we add things that can
17 be added.

18 And so from a human health point
19 of view, risk assessments where there's a clear
20 mechanism and the dose can be added for specific
21 diseases or endpoints has been done, but it's not
22 often done in environmental risk assessments, but
23 some research has been done.

24 For exposures to non-human biota,
25 it tends to be a bit simpler because we tend to

1 look at endpoints such as mortality or effects on
2 reproduction, which are sort of looking at total
3 exposures and total body burdens.

4 And so there has been research in
5 that area as well, but that work isn't often
6 integrated into risk assessments, except at the end
7 when we have risk quotients for individual
8 chemicals and we tend to add them.

9 MEMBER PEREIRA: Thank you.

10 And I'd just like to comment on
11 some of the points and observations you made.

12 You talked about residents in the
13 region having different viewpoints on the same
14 issues, with some being very pro-nuclear and some
15 being fearful of nuclear and others being concerned
16 about health impacts and some saying there's no
17 impacts.

18 And we found that in our -- over
19 the past three weeks as we've had intervenors come
20 here, that the views are very polarized when we're
21 talking with people from the region and from
22 further afield, that it seems like there's two
23 camps on the same issue, and we're trying to sort
24 out what the feeling of people are and also to
25 listen to the science and the -- and the experience

1 from the government departments on different
2 aspects.

3 But it's good to hear from the
4 public and environmental organizations on what
5 their feelings are, but it's good to get
6 recognition from a group such as yours that there
7 are differences and that people do feel strongly on
8 these issues one way or the other. That's very
9 valuable input. Thank you.

10 Thank you, Mr. Chairman.

11 CHAIRPERSON GRAHAM: You've got to
12 get the mic on. I'm sorry, go ahead, sir.

13 MR. ANDERSON: Yeah, my
14 observation, and I've been involved in both
15 environmental issues and end up -- had a lot of
16 contact with the nuclear industry many years, and
17 there just simply isn't any middle ground anymore.
18 The middle ground has just simply disappeared.
19 Everybody -- it's one side or the other, and it's
20 hard to find anybody who takes a neutral position.

21 CHAIRPERSON GRAHAM: Thank you for
22 that.

23 Madame Beaudet?

24 MEMBER BEAUDET: Thank you, Mr.
25 Chairman.

1 You said that your organization is
2 Citizens Lobby, the title for Environmental
3 Awareness. And you are -- you say that you are
4 concerned with certain aspects like pollution.

5 Just -- you must have looked a bit
6 at the documents and there's a proposal -- there
7 was a proposal by Health Canada that during the
8 site preparation if there were exceedances of
9 particulates and other source of pollution for air
10 pollution, that there would be committee and they
11 should have a dust management program, et cetera.

12 And I was wondering if these
13 issues have been discussed by your members?

14 MR. ANDERSON: I can't say that we
15 have had discussions. You know, clearly -- I mean,
16 there's a issue with -- a lot of environmentalists
17 have a problem with a lot of government processes,
18 and the difference is between the intention and the
19 execution very frequently. I mean, you can say
20 you're going to monitor something or other, but
21 does it actually take place in the final analysis.
22 And that's something you don't know at the time,
23 but there's a lot of suspicion, let's face it.
24 With justification.

25 A lot of things just don't happen

1 the way they're supposed to happen. And, frankly,
2 I'll tell you, the incinerator's an example of
3 that.

4 Lots of promises, but, you know,
5 when you look at the fine print, they're going
6 through the C of A process right now, and we're
7 reading the C of A and there just isn't -- it is --
8 what they promised to do in the environmental
9 assessment just isn't in the certificate of
10 approval in their application there, and now we're
11 fighting that one. So ---

12 MEMBER BEAUDET: Thank you.

13 Thank you, Mr. Chairman.

14 CHAIRPERSON GRAHAM: Thank you
15 very much, Madame Beaudet, and to you, Mr.
16 Anderson, thank you very much for your observations
17 and your statement.

18 Now, my indication here is that we
19 have one more oral statement, and that is by Ms.
20 Julia McCrea, and Ms. McCrea, the floor is yours.

21 --- PRESENTATION BY MS. McCREA:

22 MS. McCREA: Good afternoon, Chair
23 and panel members and other participants. My name
24 is Julia McCrea. I'm a citizen and resident in
25 Oshawa, the nearest city to the proposed site. I'm

1 also a secondary teacher and a proud member of the
2 Ontario Secondary School Teachers' Federation.

3 I care about the environment and I
4 have actively participated in a number of
5 progressive environmental organizations and
6 activities.

7 I care about the future
8 environment we are creating for the children, young
9 people and citizens, not only here in Oshawa and
10 Durham Region where we have two large nuclear
11 facilities located, but also in the broader context
12 of Ontario and Canada.

13 We are all here reviewing a
14 proposal for the expansion of nuclear power
15 generation facilities at the Darlington nuclear
16 facility in Clarington. This is a project operated
17 by Ontario Power Generation, OPG, a Crown
18 corporation of the Ontario government

19 The review of this facility, which
20 was proposed by the provincial Liberal government
21 in Ontario, was directed by the recent federal
22 Conservative government's Minister of the
23 Environment and Canadian Nuclear Safety Commission
24 as required under the current relevant federal
25 legislation.

1 The purpose is to carry out an
2 environmental assessment of the complete lifecycle
3 of the project and to review a licence to begin
4 site preparation.

5 I'm here to provide my views on
6 the implications of the proposed project and the
7 environmental effects of the project. I'm aware
8 that my comments may echo those of other speakers.

9 My concerns. Number One: This
10 environmental assessment is fundamentally flawed in
11 at least six ways. One, we are not considering the
12 use of any other renewable or alternative energy
13 sources, such as hydro, solar, wind, geothermal
14 energy production to meet our future energy needs.

15 Two: The reactor technology for
16 producing the new nuclear power in this project has
17 not been identified.

18 Three, the whole nuclear fuel
19 cycle is not being considered, from the extraction
20 and refining of uranium fuel to the manufacturing
21 of fuel rods to the transport of the nuclear fuel
22 to the end waste storage of the toxic nuclear waste
23 produced in power generation in the reactors to the
24 end decommissioning of old reactors, in terms of
25 the risk to citizens and the many environments

1 where these activities take place across Ontario
2 and Canada.

3 Four: The possibility of damage
4 to this proposed nuclear facility due to natural
5 disasters, such as that caused by the recent
6 earthquake in Japan, has not been included.

7 Five: The possible risks to the
8 environment, not only affect Canadians, but also
9 Americans and potentially others internationally
10 who share the Great Lakes' watershed with us, who
11 are downstream of potential leaked radiation into
12 Lake Ontario, and who are downwind from radiation
13 released into the atmosphere from this site.

14 International pollution can have
15 detrimental effects on the atmosphere, oceans,
16 rivers, aquifers, farmland, the weather, and
17 biodiversity.

18 Transboundary, environmental
19 impacts, health risk assessments, and how to
20 mitigate them have not been included in this
21 analysis.

22 Do we not have international
23 obligations to consider here?

24 Six: There is a lack of long-term
25 perspective health studies, bio-statistical, and

1 epidemiological health studies in Ontario and
2 Canada around each of the already existing nuclear
3 facilities involved in the nuclear fuel production
4 cycle let alone this proposed facility.

5 Why is this public process being
6 allowed to continue in light of these flaws and
7 facts?

8 My second concern: Is nuclear
9 power the best we can do for our future energy
10 needs?

11 In the light of the facts of, A,
12 the declining availability of fossil fuels, oil,
13 coal, and gas and of uranium resources; and, B, the
14 rising costs of these fuels to the consumer; why
15 are we continuing to pursue the most expensive
16 option, nuclear energy?

17 There is a huge legacy of debt and
18 public expense that has already been created by the
19 construction and operation of the existing nuclear
20 facilities in Ontario.

21 There are other important public
22 needs that need to be addressed from universal
23 childcare to quality comprehensive health care and
24 housing for elders.

25 It's time for less expensive, less

1 risky alternatives and energy conservation measures
2 to meet our current and future energy needs.

3 My third concern: Nuclear power
4 generation in Ontario and elsewhere has huge risks
5 to the health of the surrounding population, from
6 the release of radioactivity into the environment
7 damaging air, water, soil, flora, fauna, and food.

8 Look at what's happening in Japan
9 as a result of the recent earthquake and tsunami
10 damaging the Fukushima nuclear reactor.

11 The history of the Chalk River
12 reactor, Bruce nuclear power facility at
13 Kincardine, and of nuclear power -- Pickering
14 nuclear power facility show that there have been
15 leaks that impact both workers, the environment,
16 and everyone downstream or downwind.

17 The Durham Nuclear Health
18 Committee has already identified elevated levels of
19 human cancer in the area of the existing Darlington
20 nuclear energy operations.

21 While these cancers cannot be
22 directly linked to the power plant, the
23 correlations of cancer incidents with nuclear
24 facilities, nuclear radiation, and even coal-
25 burning power facilities has been documented in

1 numerous scientific studies.

2 See the victims of Hiroshima,
3 Nagasaki nuclear bombs, Nevada nuclear testing
4 site, Chernobyl nuclear power plant accident, Three
5 Mile Island nuclear power plant accident, and
6 nuclear plant workers' occupational health.

7 A previous very prominent speaker
8 here, Dr. Helen Caldicott, was very persuasive
9 about the evidence of health risks to the
10 surrounding populations. As she pointed out, the
11 long-term studies of cancer incidents and other
12 health effects on workers and the population
13 surrounding nuclear facilities still need to be
14 done.

15 How can we proceed with new and
16 expanded facilities when we lack the scientific
17 data and evidence of health risks around the
18 existing nuclear production facilities?

19 My fourth concern: My concerns
20 are foremost for our children.

21 As a teacher, I taught in a high
22 school that was within the 10-mile radius of the
23 Pickering nuclear facility in Durham Region. And
24 I've worked with two of the school boards
25 potentially directly impacted by this proposal.

1 Schools and school boards have
2 nuclear emergency response plans.

3 As teachers, we have to be
4 prepared for a nuclear accident in which potassium
5 iodide KI pills would be distributed to students to
6 protect them from the immediate risk of radiation
7 to their thyroid glands.

8 We also have to prepare for
9 evacuation to places of safety.

10 Parents registering with the local
11 school boards are requested to sign documents
12 authorizing the administration of KI pills in the
13 case of nuclear accident.

14 We would not be preparing and
15 parents would not have to sign for KI pills unless
16 there is a reasonable risk of nuclear accident.

17 The lawyers and insurance experts
18 for school boards put these measures in place
19 because of the specific health and emergency risks
20 that have been identified.

21 There are four school boards that
22 are in the immediate vicinity of the existing and
23 proposed nuclear site. They are the Durham
24 District School Board, the Durham Catholic District
25 School Board, the Kawartha Pine Ridge District

1 School Board, and the Peterborough Victoria
2 Northumberland and Clarington Catholic District
3 School Board. There are a lot of children who are
4 affected.

5 Perhaps you cannot imagine the
6 constant background stress associated with the
7 possibility that a nuclear plant down the road from
8 the school where you are working in will have an
9 accident releasing radiation and the subsequent
10 potential horrors that would present for children
11 and their families.

12 This is a constant, latent, and a
13 manifest aspect of our curriculum as teachers.

14 How far away do schools, students,
15 and staff have to be to be free from nuclear
16 radiation and accident risks?

17 Why are we putting our children,
18 our students at risk?

19 My fifth concern: This proposed
20 power plant will expand an already unsightly
21 nuclear power plant on the beautiful Lake Ontario
22 shoreline next to the popular Darlington Provincial
23 Park, two environmentally significant wetlands at
24 McLaughlin Bay and the Oshawa Second Marsh,
25 proximate to civic waterfront parks in Oshawa,

1 productive agricultural lands in Durham, and
2 vibrant cities in Oshawa and Bowmanville.

3 My sixth concern: Our local
4 economy does need good jobs. The taxpaying public
5 wants to see good jobs created with our tax
6 dollars, but we want jobs that produce clean energy
7 free from the health and environmental risks
8 associated with the proposed nuclear project.

9 Seven: Whose interests are being
10 served by this environmental assessment and the
11 future development, that of Ontario Power
12 Generation and the current Ontario Liberal
13 government or the much broader public interest?

14 The flaws that I've noted in the
15 environmental assessment suggest that the broader
16 public interests have not been fully assessed or
17 served.

18 As a citizen concerned about our
19 children, our health, and our environment, I ask
20 that the questions I have raised and the area of
21 study that I've indicated be included, be studied,
22 and be addressed by the panel.

23 In the ideal scenario, this
24 proposed nuclear power expansion by Ontario Power
25 Generation will be stopped.

1 The federal government that we,
2 the citizens, are now in the process of electing in
3 Canada and the provincial government which we will
4 be electing here in Ontario in the fall also need
5 to reconsider, stop, or abandon this project, go
6 back to the drawing board, and come up with a new
7 plan.

8 We collectively need to develop
9 the scientific, technological, and medical studies
10 to support decision making in favour of
11 alternative, renewable energy generation projects
12 based on primary concerns for keeping our children,
13 our young people, and all our citizens risk free
14 and adequately cared for by our public services,
15 including energy production.

16 This should be our number one
17 priority. We want a healthy environment that has
18 no risks of nuclear radiation or of any other
19 conventional form of pollution being added to our
20 water, air, soil, flora, fauna, and food.

21 We must stop damaging our
22 biosphere in which we humans are the major change
23 agent.

24 I urge you to consider not only
25 those of us who are closest to the plant, but also

1 the best interests of citizens of Ontario and
2 Canada who must pay now and into the future for our
3 energy needs. The potential costs of this proposal
4 are not only financial, but also to the lives,
5 health and environment of our children, workers,
6 our families and citizens.

7 Thank you for bringing these
8 hearings to Durham Region, near Oshawa, close to
9 those of us most directly impacted by this proposed
10 project.

11 For the record, I'm opposed to the
12 new nuclear power development and thank you for
13 your time, attention and consideration.

14 CHAIRPERSON GRAHAM: Thank you
15 very much, Ms. McCrea.

16 We'll now go to panel members and
17 I'll ask Madame Beaudet if she has any questions.

18 --- QUESTIONS BY THE PANEL:

19 MEMBER BEAUDET: Thank you, Mr.
20 Chairman.

21 Indeed, there are lots of issues
22 that you have brought up that were covered by other
23 intervenors, but you have a unique expertise as a
24 teacher.

25 And we did get two other

1 interventions that -- I don't think they were
2 teachers, but one of them was concerned as a
3 parent, having his house outside the 10-kilometre
4 zone of evacuation, but having his children in a
5 school within that 10 kilometres. And another
6 person wondering how children could be evacuated
7 efficiently because he felt there were not enough
8 buses since you have different opening school
9 times, so that there can be fewer buses moving all
10 the children.

11 And I'd like to know for you and
12 -- because you did bring up the emergency response
13 plan and your concerns, to what extent the children
14 are aware? Do you do exercise evacuations for
15 probably other purposes, not just from an accident
16 from the nuclear plant. And if you do, do you do
17 it with the children? How does it work exactly?

18 MS. McCREA: At the present time,
19 I don't work with one of the school boards in the
20 immediate area. I work in the York Region District
21 School Board so teachers routinely -- we practice
22 several different kinds of emergency procedures in
23 the case of fire; in the case of intruders with
24 weapons; in the case of environmental disasters of
25 some sort or weather emergencies.

1 But here, when I worked with the
2 Durham District School Board, sort of annually
3 sometimes -- and procedures may have changed -- you
4 needed to review the process for a nuclear
5 emergency if you were in the zone that would be
6 immediately affected.

7 So it's, as I said, it's part of a
8 manifests(inaudible) curriculums. Students have to
9 be made aware of the risk; they have to practice
10 the drills; teachers have to practice the drills.
11 We have to be familiar with the -- and consider,
12 you know, the problems or scenarios that could
13 occur should an evacuation become necessary in the
14 administration of KI pills be necessary in the
15 event of a nuclear emergency.

16 MEMBER BEAUDET: And that would
17 include even where you're working now for the KI
18 pill?

19 MS. McCREA: No, in my current
20 board that's -- we're outside of the range,
21 depending on how serious the disaster is. I don't
22 know how big the range would be, but they don't
23 include it in their planning, to my knowledge.

24 MEMBER BEAUDET: Thank you.

25 Thank you, Mr. Chairman.

1 CHAIRPERSON GRAHAM: Thank you,
2 Madame Beaudet.

3 Mr. Pereira?

4 MEMBER PEREIRA: Thank you, Mr.
5 Chairman. I don't have any questions for you, but
6 I will comment on some of the points you raised.

7 You commented on the risks to
8 health from the nuclear industry in the region and
9 many intervenors have brought that question up and
10 we, as a panel, have obtained input from different
11 participants.

12 And it's an issue that we are
13 going to pay some attention to as we assess the
14 input we have received.

15 And we've asked for a number of
16 undertakings from different departments, government
17 departments, on health and they have provided those
18 to us. A lot of those are posted on the CEAA
19 website. And so we have received a lot of input on
20 health and risk to health from the nuclear
21 industry.

22 So we'll certainly be paying some
23 attention to all of this input going forward.

24 You also commented on the adequacy
25 of the EA process we followed, whether we have

1 received the input required or submissions required
2 to have a valid environmental assessment.

3 Some of the perceived deficiencies
4 we have addressed through the consultation process
5 and through requiring additional input from
6 participants. And, again, that will be something
7 that we will look at as we undertake our review.

8 So you made some very good
9 observations and many of these have been identified
10 to us before in some areas. In fact, we do have
11 input that may not be evident to all of the
12 intervenors, but has already been submitted to us.

13 But thank you for identifying
14 those to us and certainly these are all matters
15 that we will consider going forward. Thank you.

16 Thank you, Mr. Chairman.

17 CHAIRPERSON GRAHAM: Thank you
18 very much, Ms. McCrea, and thank you for your
19 thoughts and your presentation, oral statement.

20 With that, I'm going to call for a
21 15-minute recess simply because we have a few
22 things to wind up at the end.

23 We have the written -- the balance
24 of the written interventions to read into the
25 record, and maybe questions.

1 Then I think I will go to my two
2 colleagues on the panel for a question or so that
3 they may have and some closing remarks.

4 So we'll declare a 15-minute break
5 and we'll be back at 25 after 3.

6 Thank you very much.

7 --- Upon recessing at 3:06 p.m./

8 L'audience est suspendue à 15h06

9 --- Upon resuming at 3:21 p.m./

10 L'audience est reprise à 15h21

11 CHAIRPERSON GRAHAM: Welcome back,
12 everyone. And would you please take your seats so
13 we can wind up.

14 The next thing I have on the
15 agenda is to -- we have a few, 7 or 8 or 10,
16 written interventions that were not dealt with
17 prior to today, so I will ask my Co-manager, Debra,
18 to read those and then I'll refer to my colleagues
19 for comments.

20 --- WRITTEN SUBMISSIONS AND COMMENTS BY THE PANEL:

21 MS. MYLES: Hello everyone. Debra
22 Myles, Panel Co-manager.

23 So I'm just going to read the PMD
24 or Panel Member Document number and the author for
25 these written submissions.

1 The first one is PMD 11-P1.89, A.
2 Carol Anderson.

3 PMD 11-P1.91, Jan Heynen.

4 PMD 11-P1.93, Mandy Newby.

5 PMD 11-P1.94, Melanie Beaudoin.

6 PMD 11-P1.102, Jay Macpherson.

7 PMD 11-P1.103, Tim Seltzer --

8 Seitz, excuse me.

9 PMD 11-P1.121, Canadian

10 Manufacturers and Explorers.

11 I'll verify -- we'll check on that
12 to see whether that really is explorers or should
13 be exporters.

14 Okay. A correction on that, PMD
15 11-P1.121 Canadian Manufacturers and Exporters.

16 PMD 11-P1.184, Robert Williams.

17 PMD 11-P1.191, Rena Ginsberg.

18 PMD 11-P1.194, Ira Rabinovitch.

19 Mr. Chair?

20 CHAIRPERSON GRAHAM: Thank you,
21 Debra.

22 I believe that is all of the -- or
23 the balance I should say of the written
24 submissions, which we received and I'll go to Mr.
25 Pereira.

1 Do you have comments, Mr. Pereira,
2 on any -- one or any of these?

3 MEMBER PEREIRA: Thank you, Mr.
4 Chairman. I'll do it in three groups.

5 The first group is P1.89, Carol
6 Anderson; P1.91, Jan Heynen; P1.93, Mandy Newby;
7 P1.94, Melanie Beaudoin; P1.102, Jay Macpherson;
8 P1.103, Tim Seitz; and P1.191, Rena Ginsberg.

9 And all of this group of
10 intervenors have concerns over the hazards that
11 will arise from the project, concerns about safety,
12 about waste, about the preference for
13 non- -- for renewable energy, concerns about CO2
14 burden. Terrorist attacks. And so generally
15 overall, no support for the project.

16 The next one is P1.184 from Robert
17 Williams. His view is that fusion energy
18 generation would be acceptable, but fission brings
19 risks, various risks including accidents, cost
20 overruns, spills, leaks and waste, but if there
21 was -- his view is that if we were going for a
22 fusion reactor, that might be acceptable. So he
23 doesn't support the current proposal.

24 P1.194 doesn't support the
25 proposal because of concerns of a cost overrun,

1 spills, tailing wastes, but he also expresses
2 doubts whether the process we are going through is
3 objective. He doubts very much we'll come up with
4 -- with this decision, which is -- which will be
5 objective, and he believes that we will just say
6 yes to the proposal regardless of what evidence is
7 brought before us.

8 And, finally, P1.121 from the
9 Canadian Manufacturers & Exporters. This is a
10 group that is involved in the industry and they
11 support the project. And their view is that the
12 approval is for generation capacity, which will be
13 reliable and provide the supply that will drive the
14 economy of the region and provide for stable supply
15 of energy that will enable success in Canadian
16 manufacture and export.

17 Thank you, Mr. Chairman.

18 CHAIRPERSON GRAHAM: Thank you,
19 Mr. Pereira.

20 Madame Beaudet?

21 MEMBER BEAUDET: Thank you, Mr.
22 Chairman.

23 PMD 11-P.121, Canadian
24 Manufacturers & Exporters, also consider that
25 nuclear power is a clean source, an important

1 source of clean energy.

2 And four PMDs that are against the
3 project, P1.93, P1.94, P1.103 and P1.194 also
4 underline the legacy of waste to future
5 generations.

6 And I have no questions, Mr.
7 Chairman.

8 CHAIRPERSON GRAHAM: Thank you
9 very much, Madame Beaudet.

10 Now, we are kind of going a little
11 bit off schedule here, but just to wind up matters.
12 I think my panel colleagues may have had one or two
13 questions of clarification.

14 And I'll go to you, Madame
15 Beaudet, first if you have any that you would like
16 to -- clarification on to either the Proponent or
17 to CNSC?

18 MEMBER BEAUDET: I would like to
19 go to CNSC.

20 They did a consultation to -- for
21 the -- as the duty of the Crown to consult
22 Aboriginal groups.

23 And in the light of the different
24 presentations that we received here, I'm thinking
25 of First Nation, the Saugeen First

1 Nation -- sorry, the Saugeen Ojibway Nations.
2 Because for the license to prepare a site, we have
3 to take position whether the consultation of
4 Aboriginal groups was adequate and I would like to
5 hear your comments on that?

6 Because this particular group was
7 not part of the original list that you had and I
8 just want to ensure that we have completed our
9 duty.

10 DR. THOMPSON: Patsy Thompson, for
11 the record.

12 The process that was used for
13 Aboriginal consultation has been described and the
14 position of CNSC staff is presenting the CMD that
15 the Aboriginal consultation has been adequate and
16 the duty has been met for this project.

17 And I will ask Andrew McAllister
18 to provide the details, specifically with regards
19 to the Saugeen Ojibway Nation.

20 MR. McALLISTER: Andrew
21 McAllister, for the record.

22 You are correct, Madame Beaudet,
23 we did not -- they were not on our distribution
24 list.

25 CNSC has been engaging in

1 consultations with the Saugeen Ojibway Nation on
2 the deep geologic repository project, which is
3 ongoing up in the Bruce. We did note their
4 concerns that they raised during these hearings.

5 Our analysis and research, when we
6 first put it together, our distribution list did
7 not identify them. And that analysis was based on
8 what the Proponent, OPG, had done; the previous
9 experiences that CNSC has had with the Aboriginal
10 groups in the area, along with those of other
11 federal departments.

12 We noted that their concerns that
13 they raised were with respect to the storage of
14 waste. The Western Waste Management Facility up in
15 the Bruce is a licensed facility to store the waste
16 in the interim, and we noted that the
17 transportation of waste to the Western Waste
18 Management Facility from the Darlington project
19 amounts to approximately four to six truck
20 shipments a month and can -- and that this facility
21 can accommodate that.

22 And we should also further note
23 that should any changes be required to the Western
24 Waste Management Facility licence for any reason,
25 as per CNSC's protocol around Aboriginal

1 consultation, we will consult with the Saugeen
2 Ojibway Nation and any other interested groups.

3 MEMBER BEAUDET: Thank you.

4 Thank you, Mr. Chairman.

5 CHAIRPERSON GRAHAM: Mr. Pereira,
6 do you have anything to follow up on?

7 MEMBER PEREIRA: Thank you, Mr.

8 Chairman. I'll follow up also with CNSC staff.

9 We have reviewed your Panel Member
10 Documents, two of them submitted, and we have a
11 question whether having considered what has gone on
12 in these hearings whether any additional
13 recommendations you would be -- want to offer us at
14 this time?

15 And, in particular, we would like
16 to focus on malfunctions and accidents, given that
17 we are looking at a stylized release scenario. And
18 given what's happened recently, events in Japan,
19 whether there is any recommendations that you might
20 want to make on that issue?

21 And the second one is out-of-core
22 criticality. Again, you know, we have the
23 possibility of enriched fuel being -- used fuel
24 being stored on site, and whether there is any
25 issues there that we should be addressing, given

1 the concerns and issues that have arisen with the
2 recent experience in Japan and beyond that? There
3 may be other reasons why you might want to make
4 recommendations to us.

5 So I'll leave that to -- do you
6 want to react to that; maybe comment on that?

7 MR. HOWDEN: Barclay Howden
8 speaking.

9 In terms of additional
10 recommendations, we don't have further
11 recommendations to make to you. We're satisfied
12 with the recommendations that have been made.

13 With regards to your specific
14 comments about malfunctions and accidents, we've
15 identified within the EA the type of issues that
16 needed to be looked at, recognizing that once a
17 technology is chosen and if OPG goes ahead with an
18 application for a licence to construct, that the
19 fulsome review of the design, with a full safety
20 analysis which includes probalistic safety
21 analysis, deterministic analysis, the -- against
22 the design-basis accidents and beyond design-basis
23 accidents including on the security side, the
24 design-basis threats and beyond design-basis
25 threats.

1 We're of the view that the
2 regulatory framework is robust, with RD337 designed
3 for new nuclear power plants being the anchor for
4 that, recognizing there's other documents that we
5 use.

6 I would like to reiterate that
7 from the Japanese event, our view from the site
8 suitability of the Darlington site has not changed,
9 however, we did indicate that any lessons learned
10 from the event that could impact reactor designs we
11 would expect to be incorporated in to any work that
12 they do.

13 There is an international work
14 already started on lessons learned, and we would
15 expect that to be incorporated.

16 In terms of out of core
17 criticality, we have very clear regulatory
18 requirements. We've been using up to now the
19 American standard, but in the past three months we
20 have a Canadian standard on out of core
21 criticality. So we think that sets a very a very
22 high bar and a very clear expectation that the
23 Proponent would have to meet.

24 As well in Canada, although the
25 power plants don't deal with enriched fuel, Canada

1 has a lot of experience with enriched fuel at the
2 Chalk River site, which has an in-depth criticality
3 control program. So, from a regulatory standpoint,
4 there's a lot of experience with that, so we've
5 very confident that our recommendations are robust.

6 MEMBER PEREIRA: Just to confirm,
7 you're talking about licensing, but our requirement
8 is to consider all the -- at a high level what
9 should be considered on that environmental
10 assessment, which is for the whole cycle, from
11 licence to construct to abandon.

12 MR. HOWDEN: Yes, thank you. Yes,
13 the EA looks at the whole life of the plant, which
14 goes through the licence to construct, licence to
15 operate, and ultimate decommissioning. We're
16 satisfied that the information presented on
17 malfunctions and accidents and out of core
18 criticality, and all the other issues that have
19 been presented, that are bounded by the information
20 that has been presented.

21 With our recommendations that
22 we've made to you, which we hope the panel will
23 take into consideration, we feel that there's
24 nothing further to add.

25 MEMBER PEREIRA: Thank you.

1 MR. HOWDEN: Thank you, Mr.
2 Chairman.

3 CHAIRPERSON GRAHAM: Thank you
4 very much, Mr. Pereira, and I thank both you and
5 Madame Beaudet for the dedication that you've shown
6 over the last three weeks in your questioning, and
7 gaining of information that is needed for us to go
8 forward.

9 We've now reached an important
10 milestone on these hearings in the life of Joint
11 Review Panel. We have no more oral presentations,
12 no more written submissions, and no more
13 interventions at this time.

14 And before I have my closing
15 remarks, which are going to be brief, I'm wondering
16 if OPG has anything they would like to say. And
17 you didn't know I was going to do that, but...

18 MR. SWEETNAM: Albert Sweetnam,
19 for the record.

20 We didn't know you were going to
21 do that, but we prepared for it.

22 CHAIRPERSON GRAHAM: That's why I
23 did it that way.

24 (LAUGHTER)

25 MR. SWEETNAM: And I have short

1 version and a long version and, since we've been
2 sitting for almost three weeks, I'll take the short
3 one.

4 Chairman Graham and Members
5 Pereira and Beaudet, we would like to thank you for
6 the very fair and equitable way in which you've
7 conducted the panel. We'd like to thank the
8 secretariat, the CNSC, the intervenors, the public,
9 and the facility.

10 I think -- for me personally, it
11 was my first hearing, and it was quite a good
12 experience. It was an opportunity to -- everybody
13 to have their voice, and you allowed everybody to
14 have their voice, and I think that's the purpose of
15 the hearing.

16 I think it was well-received by
17 everybody. You appeared -- even though you're
18 sitting a little higher than us, you appeared very
19 accessible to all. I think that was a very
20 positive thing.

21 So OPG has provided an extensive
22 and robust environmental impact statement, which
23 has detailed all of the possible areas of
24 environmental effects and describe the appropriate
25 mitigations. The EIS and the 28 technical support

1 documents, the responses to the IRs, and additional
2 materials provided through the course of this
3 hearing, leads OPG to the same conclusion, that the
4 Darlington new nuclear project will not result in
5 significant adverse environmental effects.

6 The federal and provincial
7 government agencies and other participants have
8 also shared with you their views, that the project
9 is unlikely to cause significant adverse
10 environment effect.

11 OPG has listened carefully
12 throughout these proceedings to all participants,
13 however, no one has tabled evidence to the
14 contrary.

15 OPG has committed to ensuring the
16 safety of the project as it proceeds. We have
17 reviewed and committed to the majority of the
18 recommendations made by the government agencies.

19 OPG has a record of project
20 management successes on which we will build as we
21 prepare the site and eventually construct and
22 operate the new nuclear facilities.

23 Safety is a fundamental basis of
24 our business and each and every person working for
25 OPG is committed to its achievement.

1 I will hold my management team,
2 our employees, and everyone involved in the
3 Darlington new nuclear project, responsible for the
4 achievement of a high level of safety performance.

5 Thank you again, and have a safe
6 trip home.

7 --- CLOSING REMARKS:

8 CHAIRPERSON GRAHAM: That's my
9 phrase. Thank you very much, Mr. Sweetnam.

10 So now I guess I have a few
11 comments also, and that will wind it up.

12 Today marks the review panels' 17th
13 day of public hearings, and the 18th month of review
14 and assessment of Ontario Power Generation's
15 proposed new nuclear power project here in
16 Darlington.

17 We have reached these important
18 milestones with the assistance of many, many
19 people, and I can't go on and name every one, but
20 they're both the ones that are seen and the ones
21 that unseen.

22 I would like to start by thanking
23 the residents of Clarendon, and its neighbouring
24 communities, for making us feel welcome. We didn't
25 see very much of the communities, based on the time

1 we were sitting here, but, nevertheless, we were
2 welcome and we do appreciate that.

3 I would also like to single out
4 our gracious hosts from Hope Fellowship Church for
5 what they've been able to provide, just a superb
6 job at a facility that I think is has accommodated
7 everyone every well.

8 I would also like to take this
9 opportunity to acknowledge the hard work and long
10 hours of many people behind the scenes who have
11 made sure that such things as webcast, simultaneous
12 translation, daily written transcripts were
13 available the following day. All of those things
14 in this whole procedure ran smoothly.

15 I want to thank my co-managers,
16 Debra and Kelly, for keeping me straight. I've
17 given them a little more grey hair at times, with
18 some of the things we do, but I want to thank them
19 for helping myself and my panel members.

20 The panel would like to thank the
21 hundreds of people who have contributed to the
22 review by writing to us, either by writing, by
23 appearing in the past 17 days, or simply just
24 watching and listening and seeing how this process
25 unfolds, and to all these people I thank them very

1 much for their participation.

2 When I was given the rules of the
3 procedure for the hearing, I felt that there had to
4 be a change to reflect a more open process and
5 hopefully that this process that we adopted today
6 -- or adopted the last 17 days, has made the
7 process a little more friendly, a little more -- a
8 way in which everyone is treated equally, no matter
9 whether you're the grandmother worried about your
10 grandchildren or the skilled lawyer that is used to
11 being in court, and so on. Everyone was treated
12 equally.

13 I hope this works as a template
14 for CNSC in other hearings, as they go forward, to
15 be -- to give it more of a human approach. And
16 with that, I hope that this process has worked well
17 for everyone.

18 Throughout this public hearing
19 I've made it clear that the panel will continue to
20 ask questions and collect information until we have
21 everything necessary to carry out our duties and
22 write our report to the federal government.

23 We will receive a few outstanding
24 undertakings over the next two weeks, and I think
25 they're pretty well cleaned up, there's only a

1 couple left, and we will hold an in camera hearing
2 in Ottawa in early May to discuss security matters
3 in relationship to this project and the licence to
4 prepare a site.

5 We will announce the 20-day
6 deadline for the submission of final written
7 comments from the hearing participants. The panel
8 and only the panel -- and I maybe wasn't clear with
9 Mr. Haskill -- the panel and only the panel will
10 then received and consider these final comments.
11 When we are satisfied that we have all the
12 information that we need to prepare our report, we
13 will close the record for the environmental
14 assessment.

15 The panel will then have 90 days
16 to write and deliver our report to government. The
17 report will be made available to the public and any
18 further actions by the panel under the *Nuclear*
19 *Safety and Control Act* will be subject to the
20 federal government's decision on our
21 recommendations in the report.

22 At the outset we anticipate and
23 welcome a wide-range of opinions and observations,
24 a healthy, respectful and extensive collection of
25 information has inspired each of us to pursue these

1 objectives.

2 I want to especially thank my
3 panel members who have contributed both directly
4 and indirectly to this review.

5 Our work is by no means done and
6 our deepest appreciation to everyone that has
7 participated, and my phrase, may everyone have a
8 safe trip home.

9 Thank you very much.

10 (APPLAUSE)

11 CHAIRPERSON GRAHAM: And I guess
12 I'm supposed to adjourn. So we adjourn and thank
13 you everybody for participating.

14 --- Upon adjourning at 3:45 p.m./

15 L'audience est ajournée à 15h45

16

17

18

19

20

21

22

23

24

25

1

2

C E R T I F I C A T I O N

3

4 I, Alain H. Bureau a certified court reporter in
5 the Province of Ontario, hereby certify the
6 foregoing pages to be an accurate transcription of
7 my notes/records to the best of my skill and
8 ability, and I so swear.


9

10 Je, Alain H. Bureau, un sténographe officiel dans
11 la province de l'Ontario, certifie que les pages
12 ci-hauts sont une transcription conforme de mes
13 notes/enregistrements au meilleur de mes capacités,
14 et je le jure.

15

16

17



18 Alain H. Bureau

19

20

21

22

23

24

25